

Commission of Inquiry into the Decline of
Sockeye Salmon in the Fraser River



Commission d'enquête sur le déclin des
populations de saumon rouge du fleuve Fraser

Public Hearings

Audience publique

Commissioner

L'Honorable juge /
The Honourable Justice
Bruce Cohen

Commissaire

Held at:

Room 801
Federal Courthouse
701 West Georgia Street
Vancouver, B.C.

Wednesday, January 26, 2011

Tenue à :

Salle 801
Cour fédérale
701, rue West Georgia
Vancouver (C.-B.)

le mercredi 26 janvier 2011

APPEARANCES / COMPARUTIONS

Wendy Baker, Q.C. Maia Tsurumi	Associate Commission Counsel Junior Commission Counsel
Mitch Taylor, Q.C. Hugh MacAulay Jonah Spiegelman	Government of Canada ("CAN")
Boris Tyzuk, Q.C.	Province of British Columbia ("BCPROV")
John Hunter, Q.C.	Pacific Salmon Commission ("PSC")
No appearance	B.C. Public Service Alliance of Canada Union of Environment Workers B.C. ("BCPSAC")
Charlene Hiller	Rio Tinto Alcan Inc. ("RTAI")
Shane Hopkins-Utter	B.C. Salmon Farmers Association ("BCSFA")
No appearance	Seafood Producers Association of B.C. ("SPABC")
No appearance	Aquaculture Coalition: Alexandra Morton; Raincoast Research Society; Pacific Coast Wild Salmon Society ("AQUA")
Tim Leadem, Q.C.	Conservation Coalition: Coastal Alliance for Aquaculture Reform Fraser Riverkeeper Society; Georgia Strait Alliance; Raincoast Conservation Foundation; Watershed Watch Salmon Society; Mr. Otto Langer; David Suzuki Foundation ("CONSERV")
No appearance	Area D Salmon Gillnet Association; Area B Harvest Committee (Seine) ("GILLFSC")

APPEARANCES / COMPARUTIONS, cont'd.

No appearance	Southern Area E Gillnetters Assn. B.C. Fisheries Survival Coalition ("SGAHC")
Chris Watson	West Coast Trollers Area G Association; United Fishermen and Allied Workers' Union ("TWCTUFA")
No appearance	B.C. Wildlife Federation; B.C. Federation of Drift Fishers ("WFFDF")
No appearance	Maa-nulth Treaty Society; Tsawwassen First Nation; Musqueam First Nation ("MTM")
No appearance	Western Central Coast Salish First Nations: Cowichan Tribes and Chemainus First Nation Hwlitsum First Nation and Penelakut Tribe Te'mexw Treaty Association ("WCCSFN")
Brenda Gaertner	First Nations Coalition: First Nations Fisheries Council; Aboriginal Caucus of the Fraser River; Aboriginal Fisheries Secretariat; Fraser Valley Aboriginal Fisheries Society; Northern Shuswap Tribal Council; Chehalis Indian Band; Secwepemc Fisheries Commission of the Shuswap Nation Tribal Council; Upper Fraser Fisheries Conservation Alliance; Other Douglas Treaty First Nations who applied together (the Snuneymuxw, Tsartlip and Tsawout)
No appearance	Adams Lake Indian Band
No appearance	Carrier Sekani Tribal Council ("FNC")
No appearance	Council of Haida Nation

APPEARANCES / COMPARUTIONS, cont'd.

No appearance	Métis Nation British Columbia ("MNBC")
No appearance	Sto:lo Tribal Council Cheam Indian Band ("STCCIB")
No appearance	Laich-kwil-tach Treaty Society Chief Harold Sewid Aboriginal Aquaculture Association ("LJHAH")
Lisa Fong Benjamin Ralston	Heiltsuk Tribal Council ("HTC") Articled Student
No appearance	Musgamagw Tsawataineuk Tribal Council ("MTTC")

TABLE OF CONTENTS / TABLE DES MATIERES

	PAGE
SUE GRANT	
In chief by Ms. Baker	1/28/53
Cross-exam by Mr. Taylor	61
Cross-exam by Mr. Leadem	67
Cross-exam by Ms. Gaertner	72
Questions by the Commissioner	80
MICHAEL LAPOINTE	
In chief by Ms. Baker	82/94/97
BRIAN RIDDELL	
In chief by Ms. Baker	93/96/99

EXHIBITS / PIECES

<u>No.</u>	<u>Description</u>	<u>Page</u>
350	<i>Curriculum vitae</i> of Sue Grant	2
351	CSAS Research Document 2006/060 "Pre-season run size forecasts for Fraser River sockeye for 2006", A. Cass et al	16
352	Pre-Season Run Size Forecasts for Fraser River Sockeye Salmon in 2010	29
353	Hydroacoustic Working Group Meeting (HaWG) - 14&15 Dec 2004 - Review of 2004 of Mission Hydroacoustic Program	90

1
Sue Grant
In chief by Ms. Baker

1 Vancouver, B.C. /Vancouver (C.-B.)
2 January 26, 2011/le 26 janvier
3 2011
4

5 THE REGISTRAR: The hearing is now resumed.

6 MS. BAKER: Thank you, Mr. Commissioner. Today we are
7 starting on the topic of Forecasting, and we have
8 with us Ms. Sue Grant.

9 THE REGISTRAR: Good morning.

10
11 SUE GRANT, affirmed.
12

13 THE REGISTRAR: Would you state your full name, please.

14 A Sue Grant.

15 THE REGISTRAR: Thank you.

16 MS. BAKER: Thank you.
17

18 EXAMINATION IN CHIEF BY MS. BAKER:
19

20 Q Ms. Grant, I am just going to go through a bit of
21 your background with the Commissioner. Your c.v.
22 has been provided and it's in Tab 1 at the
23 materials we have given you, and it is CAN185936.
24 You have a Bachelor of Science in Marine Biology
25 from McGill?

26 A Yes.

27 Q And a Master of Science in Environmental Biology
28 and Ecology from the University of Alberta?

29 A Yes, that's correct.

30 Q And you are presently doing graduate work in
31 Quantitative Methods in Fisheries Management?

32 A Yes -- it's part of a diploma, select courses.

33 Q Okay. And that's at Simon Fraser University?

34 A Yes.

35 Q And at Simon Fraser you're working with Dr.
36 Randall Peterman on some courses?

37 A No, it's a variety of professors that I've taken
38 individual courses with to upgrade my analytical
39 skills, or to keep them fresh.

40 Q One of them is Dr. Randall Peterman?

41 A That's correct.

42 Q Okay. And you're currently the Program Head for
43 Sockeye and Pink Analytical at Fraser River Stock
44 Assessment; is that right?

45 A Yes, that's correct.

46 Q Okay. And you've been in that position since
47 2008?

January 26, 2011

2
Sue Grant
In chief by Ms. Baker

1 A Yes.

2 Q And prior to that you were the Acting Program Head
3 for Sockeye, Pink, Chum, and Creel at Fraser Stock
4 Assessment.

5 A Yes.

6 Q And you were there in that position for about four
7 years?

8 A Yes.

9 MS. BAKER: I'd like to have the c.v. marked as the
10 next exhibit, please.

11 THE REGISTRAR: Exhibit number 350.

12

13 EXHIBIT 350: *Curriculum vitae* of Sue Grant

14

15 MS. BAKER:

16 Q Now, we've asked you to come here today to talk
17 about pre-season forecasting. As the Program Head
18 for Sockeye and Pink Analytical Programs, you are
19 in charge of generating the run size forecasts for
20 Fraser River sockeye salmon; is that right?

21 A That's correct.

22 Q And for what stocks are run size forecasts
23 developed?

24 A There's a total of 19 forecasted stocks, and these
25 forecasted stocks are rolled up into a total of
26 four run-timing groups, based on when they enter
27 the Fraser Watershed. So the first run-timing
28 group to enter the Fraser Watershed is the Early
29 Stuart run, and that includes the Early Stuart
30 stock. The second run-timing group to enter the
31 Fraser Watershed is the Early Summer run, and
32 that's comprised of eight stocks. That includes
33 Bowron -- should I -- would you like me --

34 Q No, eight is fine.

35 A That detail is not required.

36 Q Yes.

37 A So there's eight stocks with the Early Summer run.
38 There's four stocks associated with the Summer
39 run-timing group, and six stocks associated with
40 the Late run-timing stock -- group. And in
41 addition to the 19 forecasted stocks, there's a
42 number of miscellaneous stocks -- a number of
43 miscellaneous populations that are also
44 forecasted.

45 Q Okay. And we have heard about CUs in the Fraser
46 sockeye system, these 19 stocks, are they related
47 to the CUs that we've heard about in the -- in the

3
Sue Grant
In chief by Ms. Baker

1 Fraser system?
2 A There's overlap between the conservation units
3 that have been identified. So in some cases
4 there's a direct relationship between the
5 forecasted stocks and the conservation units. And
6 in other cases one stock might be comprised of
7 multiple conservation units and in other cases a
8 stock -- there might be multiple stocks that are
9 comprised of one conservation unit, so there's a
10 little bit of -- there's a little difference
11 between conservation units and stocks.
12 Q Okay. And why do you use these 19 stocks, then,
13 when you're doing your modelling?
14 A The 19 stocks encompass the bulk of Fraser sockeye
15 abundance within the Fraser watershed, and
16 including the miscellaneous stocks. So the 19
17 forecasted stocks comprise 95 to 98 percent of the
18 total abundance in the Fraser watershed. And the
19 miscellaneous stocks comprises a significantly
20 smaller component of the total abundance. But the
21 forecasted stocks represent the bulk of the
22 abundance of Fraser sockeye in the watershed.
23 Q Okay. Is there data available for those 19 stocks
24 that allow you to use them in your modelling?
25 A Yes. The 19 forecasted stocks have both stock and
26 recruitment data associated with them. And what I
27 mean by stock and recruitment is, stock is -- what
28 we use is effective female spawner abundance,
29 which is female spawner abundance and their
30 spawner success, so how successful they were in
31 spawning in terms of their egg contribution. And
32 in addition to stock, the recruitment component of
33 the data, the dataset we use, is catch plus
34 escapement. So that's the core data we use for
35 the 19 forecasted stocks.
36 Q And you've mentioned that you do forecasts for the
37 miscellaneous stocks where there's no recruitment
38 data; is that fair?
39 A That's correct.
40 Q Okay. You just use a different method?
41 A The miscellaneous stocks have only escapement data
42 associated with them. So instead of paired stock
43 recruitment data for the 19 forecasted stocks, the
44 miscellaneous stocks only have escapement data
45 associated with that. And what I mean by that is
46 effective female spawner abundance data is what we
47 specifically use. So there isn't a paired

January 26, 2011

4
Sue Grant
In chief by Ms. Baker

1 recruitment time series associated with that small
2 number of miscellaneous stocks.
3 Q Why do you not have the recruitment data for the
4 small stocks?
5 A These are very small stocks for the most part. So
6 for example, the late run miscellaneous group is
7 called the miscellaneous non-Shuswap group, and
8 it's comprised of small populations within the
9 Fraser Watershed that -- these populations rear in
10 Harrison Lake. And they're very small populations
11 that would be at this -- because they're so small,
12 it would be really hard to pick them up in
13 fisheries that are breaking catch composition into
14 the individual stock components. So for the
15 miscellaneous runs, they are miscellaneous stocks,
16 not associated with a broader stock that cannot be
17 teased apart within the catch composition, so we
18 can't establish a recruitment time series for
19 them.
20 Q And when you're doing the pre-season forecast,
21 you're working with a computer model, inputting
22 data into that model. That's the basic concept;
23 is that right?
24 A Yes. There would be a variety of models that we
25 would use.
26 Q Okay. But it's a -- it's a mathematical kind of
27 model that you put the data into?
28 A That's correct.
29 Q Okay. And what data is used, what data is entered
30 into those models or variety of models to allow
31 you to do the work?
32 A There --
33 Q Sorry, and then if there's different types of
34 models, you could maybe just establish the broad
35 categories of types of models.
36 A Okay. There are two categories of models that we
37 use in the forecasting process. The first type of
38 model is called a biological model, and these
39 models incorporate what I'd mentioned earlier, the
40 stock and recruitment time series. And the
41 biological models establish a relationship between
42 the spawner abundance and the recruits, the
43 resultant recruits. And so the core data that
44 would go into these models, for example, the
45 classic biological model would be the Ricker
46 model, which is one that's probably come up in
47 previous testimonies. And did you --

January 26, 2011

5
Sue Grant
In chief by Ms. Baker

1 Q Yes, what was --

2 A For clarification, would you want a lot of detail
3 on...

4 Q Just the types of data that would be --

5 A Okay.

6 Q -- used in that kind of biological model.

7 A Okay. So for some of these biological models that
8 we use, such as the Ricker model is one of the
9 models, would be -- the core data is, as I
10 mentioned earlier, paired stock and recruitment
11 data. So that's escapement data, as well as catch
12 plus escapement data, so it's paired, and that's
13 fundamental to the models.

14 Escapement is being used as a predictor
15 variable in the models, but we have a number of
16 stocks where we also have juvenile data, and for
17 these stocks there are some cases where we may use
18 juvenile data as predictor variables as opposed to
19 escapement data, because it eliminates some of the
20 uncertainty in survival in the freshwater
21 environment. So it gets us one step closer to the
22 returning fish. So in some cases where we have
23 juvenile data, we'll use that.

24 We also use jack data for one model in
25 particular, that's Cultus. Jack data is generally
26 not available at the time of forecasting because
27 it's from the -- the year that the -- the year
28 just before the forecast is being generated, but
29 in some cases we do have jack data. And then the
30 other piece of data that we use for the 19
31 forecasted -- for the 19 forecasted stocks in
32 terms of biological models is also environmental
33 variables. So specifically for biological models
34 we can also incorporate environmental variables
35 into the models. And these include things like
36 sea surface temperature, Fraser discharge, et
37 cetera.

38 In terms of the naïve models --

39 Q Sorry, so that describes the biological models.
40 And then is there another type of model that you
41 use?

42 A Yes. The other broad type of model that we use
43 has -- historically we've called them naïve
44 models, because these models don't establish any
45 relationship between the spawning abundance and
46 the resultant recruits, but instead are
47 forecasting abundance based on summarizing the

1 time series data that we have.

2 So for example, for -- one example of a naïve
3 model would be a time series average model, what
4 we call a TSA, in short form. You'll see them on
5 the forecast tables. The TSA model or time series
6 average model would just average the returns over
7 the historical time series, and use that average
8 to predict what we would see next year. So next
9 year's return would simply be the average of the
10 historical time series. So that's one example of
11 a naïve model.

12 In the 2010 forecast, we've added a couple of
13 models that include brood year escapement
14 multiplied by recent productivity. So they're
15 also using recruits per spawner, like average
16 recruits per spawner productivity in recent years
17 multiplied by the brood year escapement. And
18 those models are -- they are now using a predictor
19 variable brood year escapement, so that's why
20 we've changed the name from naïve models to non-
21 parametric models, because we're not doing any
22 parameter estimation like we are in the biological
23 models, but we are using a predictor variable. So
24 that's the core, for the 19 forecasted stocks,
25 those would be the core models and the data
26 inputs.

27 Q All right. And is the data that's available to
28 you sufficient for running these models to predict
29 the run size forecast, or to create the run size
30 forecasts?

31 A The stock recruitment data that we use for Fraser
32 sockeye is globally accepted as being amongst the
33 best stock recruitment time series for salmonids.
34 So that's throughout the world. So we're starting
35 off with a very good stock recruitment time
36 series. So from that perspective, we have a good
37 time series for stock recruitment data.

38 The key pieces of information that we
39 probably require more information, more research
40 on, is the survival part of the whole stock
41 recruitment relationship, understanding what are
42 the mechanisms driving survival for Fraser
43 sockeye. And this would include research in the
44 freshwater environment and the marine environment.
45 A lot of this is ongoing and it is part of both
46 within the Department of Fisheries and Oceans, as
47 well as external groups are, and universities are

7
Sue Grant
In chief by Ms. Baker

1 continually conducting research and updating our
2 knowledge on survival information for Fraser
3 sockeye, and salmonids in general within the
4 Fraser watershed. However, that still is a
5 missing element to -- improvements to the
6 forecasting process is getting even more
7 information and understanding what the survival
8 mechanisms are for Fraser sockeye.

9 Q You indicated that in the biological models you
10 have some juvenile data for some stocks that helps
11 you. Do you have juvenile data on all stocks?

12 A No. We have -- I'll start with just the --
13 starting with just the core stock that has the
14 longest time series of smolt data. Smolt data is,
15 in terms of juvenile data, it's the furthest along
16 within the freshwater lifecycle. So you can have
17 fry data that occurs within the freshwater
18 environment. While they're still within the lake
19 we can have fry data from hydroacoustic surveys,
20 fry data from different trap projects. So there's
21 several populations where we have all this fry
22 information. But the -- and we can use that
23 within the forecasting process, this -- this early
24 juvenile life history data.

25 But the even better juvenile data is smolt
26 data, because it's further along in the life
27 history in the freshwater environment. So if we
28 forecast with smolt data, we are eliminating all
29 the uncertainty and survival in the freshwater
30 environment. So we don't have to predict any more
31 what kind of mortality is going on in the
32 freshwater environment, as we do for stocks that
33 don't have smolt data.

34 So if we're just forecasting with adult
35 spawners that return to the spawning ground, we're
36 forecasting the future based on all of the
37 uncertainty we have with freshwater survival, as
38 well as marine. When we have smolt data, we're
39 eliminating that uncertainty. We know -- we have
40 a better starting point because we're further
41 ahead in the life history. And we can -- now we
42 just have uncertainty from the moment they leave
43 the system that they're being measured in, the
44 downstream migration, and then the ocean life
45 history phase, that survival uncertainty.

46 So the one stock where we have a really long
47 time series for smolt data is Chilko. And Chilko

1 is an indicator system for Fraser sockeye. It's
2 the one stock where we have a really long time
3 series of smolt data, and also adult return data.
4 So what we can do with that stock is partition
5 total survival into freshwater -- freshwater
6 survival and marine. So when we have annual
7 events or we're looking at what's going on overall
8 in Fraser sockeye survival, we look to Chilko to
9 give us an indication of where is this -- say, for
10 example, 2009, that was a really -- an event where
11 survival was extremely poor, you can look to
12 Chilko to give you some indication of where that
13 mortality occurred to start narrowing down the
14 questions that you're asking on what occurred in
15 2009. So Chilko is our indicator stock that we go
16 to because we can -- we can look at what
17 freshwater survival was like, and marine survival,
18 and see where that occurred.

19 Chilko is our only indicator stock for Fraser
20 sockeye with that long-time series of smolt data.
21 We also have Cultus where we have smolt data. But
22 Cultus is a unique stock in its own rights, and
23 the time series is very -- it's not a complete
24 time series through time. There's a lot of
25 missing years, and it is not an indicator stock,
26 per se. So Chilko is our only indicator stock.

27 And back to your question, Wendy, is that in
28 a perfect world it would be better to have more
29 indicator stock data to give us a better handle on
30 more than one stock in regards to being able to
31 figure out if there's a survival breakdown, where
32 is that occurring, in the freshwater or the marine
33 environment. And Chilko is one stock out of 19
34 telling us part of the story, but you'd probably
35 want a few more indicator stocks to give you an
36 idea of is this globally across all sites. So
37 from an indicator stock perspective, in a world of
38 unlimited resources it would be beneficial to have
39 more indicators stocks.

40 And but we do have other juvenile data, like
41 as I mentioned Friday, that is useful for
42 providing us with some indication of whether
43 freshwater survival trends or tracking in other
44 stocks, it's just not the smolt to the end of the
45 freshwater life history phase.

46 Q Thank you. You talked a little bit about
47 uncertainties in that answer, so I wanted to move

1 to the next question which is on that topic. What
2 are some of -- I take it, first of all, that there
3 are uncertainties in run size forecasting. What
4 are some of those uncertainties. Can you describe
5 them in general terms?

6 A Yes. With any model in the world of modelling,
7 whether you're forecasting Fraser sockeye or
8 you're forecasting the weather, or global climate
9 change, there's always going to be uncertainty in
10 regards to your observations that you're using to
11 seed the model. So for example, for Fraser
12 sockeye we use escapement data, as well as
13 recruitment data as our core data. And there's
14 always some uncertainty around those escapement
15 estimates. They're not -- you never have a
16 perfectly accurate estimate, except in a few cases
17 where we have fences and you're -- you're
18 assessing the system with 100 percent accuracy,
19 you're counting every single fish that goes
20 through, so you know that it's 100 percent
21 precise. It's a -- it's perfect system.

22 But a lot of the escapement enumeration
23 programs don't employ fences because they can't.
24 It's usually a barrier to placing a fence on a lot
25 of the systems because of water levels, flows, et
26 cetera. So they use a range of methods to
27 enumerate on the spawning grounds, from mark-
28 recapture studies or visual surveys from
29 helicopter flights, et cetera, and there's going
30 to be uncertainty in the core data we're using
31 from that perspective.

32 The same with the -- that's the escapement
33 data, but the same with the recruitment data,
34 which is catch plus escapement. You'll have the
35 escapement uncertainty, as well as uncertainty in
36 the catch estimates, because catch is assigned to
37 the different stocks through assessing catch and
38 doing some analysis on the animals being caught in
39 the fisheries, and assigning them based on a
40 sample to the different stocks. So there can be
41 uncertainty in that, as well. So that's just
42 classic observation error in the models.

43 The other kind of error in the models is the
44 -- or uncertainty in the models is associated with
45 uncertainty and variability in inter-annual
46 survival. So we use different models to explain
47 recruitment. So brood year escapement,

1 environmental variables, but there's always going
2 to be a certain component of that inter-annual
3 variation and survival that we cannot explain.
4 And that is also a component of uncertainty in the
5 models, the variation in recruitment over time.

6 And the model forms themselves are part of
7 the uncertainty, given, you know, you're exploring
8 a lot of different forms of models that are
9 capturing stock recruitment dynamics in different
10 ways, so there's uncertainty in the model form
11 that you're using, as well. So I would say those
12 would be the key uncertainty elements to the
13 forecasts.

14 Q What about uncertainty in future survival. Is
15 that an uncertainty that comes into play as well,
16 or is that captured in something you've already
17 described?

18 A Yes. It was captured in -- that we explain a lot
19 of the variability in the stock recruitment, or we
20 can explain a portion of the variability in what
21 we see every year in terms of recruitment from a
22 certain spawner abundance, but there's a certain
23 component of that's unexplained. So there's
24 uncertainty in future survivals for Fraser
25 sockeye.

26 Q Okay. So that could be uncertainties about what
27 happens in the marine environment, uncertainties
28 about what happened in the freshwater environment,
29 that kind of thing?

30 A That's right.

31 Q Okay. All right, thank you. So that's very
32 helpful background. I want to look at the models
33 that are being used, and I know that there's been
34 a change made to the model in 2010, so I think to
35 just put that in context we'll look first at the
36 2009 -- or what, how forecasting was done prior to
37 2010 and then move into the 2010 changes. So the
38 first place I want to go is the paper prepared by
39 Al Cass, Michael Folkes and others, which is a
40 Science Advisory Secretariat document prepared in
41 2006, and that's in Tab 2 of your binder in front
42 of you, and it's CAN002926, and it's called "Pre-
43 season run size forecasts for Fraser River sockeye
44 for 2006". Have you got that?

45 A Yes.

46 Q Okay. Are you familiar with that paper?

47 A Yes.

11
Sue Grant
In chief by Ms. Baker

1 Q Okay. Now, as I understand it, this document
2 basically outlines the models that were used to
3 develop the forecast for 2006 and up until and
4 probably including 2010 to some extent; is that
5 right?

6 A That's correct.

7 Q Okay. If you turn to page 2 and 3 of that
8 document, page 3 and 4 describe these two models,
9 broad-based model descriptors, naïve models and
10 biological models that you reviewed earlier.

11 A Mm-hmm.

12 Q Okay. And section 3, which is on page 2,
13 describes the methodology and it says that there's
14 these three steps, first you:

- 15
- 16 1) choose the candidate forecast models
17 depending on data availability;
 - 18
 - 19 2) perform a retrospective analysis for each
20 stock...
 - 21
 - 22 3) evaluate model performance by comparing
23 the retrospective forecast with the abundance
24 [observed]...
 - 25

26 And then:

- 27
- 28 4) identify the "best" forecast model...and
29 present forecasts as posterior distributions
30 of returns...
 - 31

32 So I just want to go through those methods. I'd
33 just first say that's still the method that was
34 used up until 2010?

35 A That's correct.

36 Q And I'll come to 2010 later, but I understand that
37 this was still part of what was done in 2010, in
38 any event?

39 A Yes, that's correct.

40 Q Okay. But I'll come to 2010 in a minute. Okay.
41 So if you can just explain what does that mean,
42 the first step in the method, to:

43

- 44 Choose the candidate forecast models
45 depending on data availability.
- 46

47 What is involved in that step?

1 A We have a suite of models that we have in our
2 toolkit of models that we use for forecasting. so
3 it's a range of biological models and naïve
4 models. And particularly for the biological
5 models we can, as we talked about earlier --
6 typically we use stock recruitment data for the 19
7 forecasted stocks, and that's escapement and
8 recruitment data. For some stocks we have
9 juvenile data, so what this first point is
10 pointing out, that we would also explore the adult
11 escapement data with the recruitment data for the
12 biological models. But if they have -- if there
13 is juvenile data associated with it, we'd layer on
14 the juvenile -- using the juvenile data as
15 predictor variables. So, and that can't be done
16 for all stocks because not all stocks have
17 juvenile data. So there are some stocks that we
18 can incorporate juvenile data into.

19 The same with jack data. Jack data generally
20 doesn't come in, we don't have it available in
21 time for the forecasting process. Cultus is one
22 stock where we do have jack data available because
23 it's a fence and we get that data in-season, so we
24 use jack data for Cultus specifically.

25 And environmental variables are -- can be
26 used for the forecasted stocks -- the 19
27 forecasted stocks when we're using biological
28 models can be included as well.

29 So that's generally what number 1 is meaning,
30 that we've got a toolkit of models. Depending on
31 whether we have juvenile data or not, not all
32 stocks can be modelled using juvenile data if it
33 doesn't exist. So we just select the suite of
34 models for each stock that could be explored,
35 limited by the data that's available.

36 Q So for any given stock you could run a variety of
37 models on that stock, if the data is available?

38 A Yes, and we would.

39 Q Okay. So the next point is to:

40
41 Perform a retrospective analysis for each
42 stock...

43
44 What is involved in that process?

45 A For every stock we have this toolkit of models
46 that we -- can be used for that particular stock.
47 And then the next step that we do to select the

1 top model is to conduct retrospective analysis,
2 and that is essentially taking the first half. So
3 we have a 50-year stock recruitment time series
4 for stocks, generally speaking, they're not all
5 the same length, but say generally 50 years. We
6 break that time series in half and use the first
7 half of the time series to seed the models,
8 whether they're biological models or naïve models,
9 and then for the second half of the time series we
10 start to create a time series of forecasts. So we
11 sequentially for the second half of the time
12 series generate a forecast, and then update that
13 data point into the first half of the time series,
14 and then for the next year, generate a forecast.
15 And we keep going through, updating the data
16 behind and generating forecasts. So we have --
17 we'll end up with a whole time series for the
18 second half of the time series of forecasts. And
19 we can compare those forecasts to the true
20 returns.

21 The models that have the smallest difference
22 between the forecasts and the true returns, are --
23 perform better in retrospective analysis. So we
24 look at the performance of the models and compare
25 how each one is doing through time compared to the
26 true return time series. And we create a ranking
27 for all the candidate models for a particular
28 stock, and then we're ranking them, based on this
29 retrospective analysis, from 1 to total number of
30 models that exists.

31 So that's retrospective analysis for ranking.
32 And should I move on to...

33 Q Yes. I'm going to go through each of those
34 methods or processes. so if you want to just
35 carry on, that's fine.

36 A Yes. It just flows in.

37 Q Yes.

38 A Yes. So we have the ranking for each stock of the
39 suite of candidate models that we've used. And
40 from -- in the 2006 paper, what was done was the
41 top-ranked model in that, ranked from the
42 retrospective analysis, is actually used for the
43 forecasting, for that annual forecast.

44 Q So that's the step 4, the "best" forecast model is
45 that top-ranked model?

46 A That top-ranked model.

47 Q Okay.

1 A And that was used for 2006.

2 Q In doing that work has -- have you found, or has
3 the Department found that one model performs
4 better than others across all stocks? Like, is
5 there one ideal model that works for all the
6 stocks better than anything else?

7 A There is not one model that performs optimally
8 across all stocks, and even across one stock
9 through time. So generally if you look at a
10 forecast table, there will be a range of different
11 models being used to generate forecasts for
12 different stocks. And not one model comes out as
13 being superior to any of the other models. And
14 this is similar to results done by Dr. Randall
15 Peterman's group in a paper by Haeseker in 2008.
16 He's using the same methodology as the Department
17 of Fisheries and Oceans is using to rank models
18 and compare performance. So they're using the
19 retrospective analysis approach we use, as well.
20 And in that paper they, similarly to us, have not
21 found a single model that outperforms all the
22 other models. There's not one that rises to the
23 surface as the ultimate forecast model.

24 And in some cases, interestingly, both from
25 our perspective and from Dr. Peterman's
26 perspective, is that naïve models can sometimes
27 perform better than biological models. So there
28 are cases where naïve models that may just be a
29 time series average, performs better over time
30 than a biological model that may include the brood
31 year escapement in -- and the relationship between
32 brood year escapement and recruits in a biological
33 model. The naïve models actually might perform
34 better for certain stocks. So you'll see in the
35 forecast tables certain naïve models for certain
36 stocks have performed better.

37 Q Okay.

38 A So -- yes.

39 Q Sorry, I was just going to say if we turn to page
40 11 of the document that you have in front of you,
41 which is actually CAN page number 15, this is just
42 an example of all the different stocks that you
43 have -- you talked about earlier, with the
44 different run timing groups, and then the forecast
45 models that were determined to be the best for
46 each of those stocks under the column "Forecast
47 model"; is that correct?

1 A That's correct. This is for the 2006 paper.

2 Q Right. And you can just see there's a wide range
3 of, as you say, the Ricker model, which is a
4 biological model, on Bowron compared to the TSA,
5 which is a non-parametric model for Fennell.

6 A Right.

7 Q Okay. Have you looked at how environmental
8 variables improve model performance? I know you
9 have said that that does go into the biological
10 model work. Does it -- have you found that it
11 improves model performance?

12 A We've looked at a variety of environmental
13 variables that include sea surface temperature and
14 Fraser discharge, ocean indices, such as the
15 Pacific Decadal Oscillation, that is really just
16 tracking sea surface temperature anomalies in the
17 broader North Pacific. So we've looked at a bunch
18 of different variables. And although for some
19 stocks, in some retrospective analysis years, like
20 in some years when we're conducting retrospective
21 analysis, environmental variables can help improve
22 the forecast performance, it's not a significant
23 improvement in terms of the performance or in
24 terms of the forecast you get.

25 So generally when you look at the forecasts
26 with just a Ricker model, just a biological model
27 with no environmental variable, and then if you
28 look at a Ricker with a sea surface temperature
29 covariate that we've explored, even though the sea
30 surface temperature covariate may slightly improve
31 forecast performance, you won't see a huge
32 difference between the forecast. It's only
33 slightly tweaking the forecast, but it isn't
34 having a large impact on the overall forecast.
35 And there isn't one environmental variable again
36 that performs best for all stocks.

37 So basically from a quantitative perspective,
38 the environmental variables haven't significantly
39 improved the forecast for all the variables we've
40 looked at. And likely that's because single
41 environmental variables, such as sea surface
42 temperature or even the broad ocean indices are
43 oversimplifying the complexity of the survival
44 mechanisms, in both the freshwater and the marine
45 environment, this, working together to influence
46 total survival for Fraser sockeye. So using a
47 single environmental variable, quantitatively

16
Sue Grant
In chief by Ms. Baker

1 hasn't been -- hasn't given us any answers, in
2 terms of making big differences to the forecast
3 approach.

4 MS. BAKER: Thank you. The Al Cass paper, "Pre-season
5 run size forecasts for Fraser River sockeye for
6 2006" should be marked as the next exhibit,
7 please.

8 THE REGISTRAR: Exhibit number 351.

9
10 EXHIBIT 351: CSAS Research Document 2006/060
11 "Pre-season run size forecasts for Fraser
12 River sockeye for 2006", A. Cass, et al
13

14 MS. BAKER:

15 Q Now, as I think we've already said, the method
16 that we've just reviewed that's described in the
17 2006 paper was used in 2007, 2008 and 2009; is
18 that fair?

19 A That's correct.

20 Q And once you -- I take it you didn't -- there
21 wasn't a CSAS document prepared in each of those
22 years because there weren't significant changes
23 made to the model, you were simply applying the
24 model that was described in this paper?

25 A There is, just to correct, or to clarify that,
26 there is a CSAS paper - and CSAS is the Canadian
27 Science Advisory Secretariat - report is produced
28 annually and it's a SAR.

29 Q Sorry, that's what I was going to get to. There
30 wasn't one of these research documents prepared in
31 those 2007/'08/'09?

32 A That's correct.

33 Q But there was a Science Advisory Report prepared
34 for each of those years, which produces the
35 results of your model runs and your forecast for
36 use in the -- in the Department?

37 A Yes.

38 Q Okay. So those have already been marked as
39 exhibits in the hearing. The 2009 one is Exhibit
40 340.

41 Okay. Well, it didn't come up in colour, so
42 you're going to -- I hope we don't lose too much
43 data as a result of that. But this is the
44 document that was prepared in the 2009 year by you
45 and your group?

46 A I should clarify. It is prepared by myself and my
47 colleagues and my collaborators, but it is also

1 the synthesis of -- the synthesis of the Salmon
2 Subcommittee for the CSAP process, which is the
3 Canadian Science Advice-Pacific review process
4 that DF has to review papers annually. So the
5 actual author of these Science Advisory Reports is
6 not myself, but it is the Department of Fisheries
7 and Oceans, and it includes all the consensus from
8 these meetings based on what we present and it's a
9 consensus from the committee on -- that is placed
10 into this document. So the actual author is
11 Fisheries and Oceans.

12 Q Okay. And the committee that you're referring to
13 is the Salmon Subcommittee of the Centre for
14 Science Advice-Pacific?

15 A That's correct.

16 Q Okay. And that document is the document that's
17 intended to be used for forecast information for
18 the 2009 year.

19 A That's correct.

20 Q And who uses this document?

21 A This would be used both -- well, by a range of
22 users. It is placed on the Fisheries and Oceans,
23 or on the CSAP -- CSAS, Canadian Science Advice
24 Secretariat website. So once it's published it's
25 placed on the website so it's available for public
26 consumption. So anyone can use it for any
27 purpose. In terms of formal processes, the
28 information in the document is used formally by
29 the Fraser Panel process in the fisheries planning
30 process. It's used internally -- yeah, I guess it
31 can just be used by anyone.

32 Q I'd like to move now to the changes that were made
33 to the model in 2010. First of all, in 2010 there
34 were changes made that were extensive enough that
35 another research document was prepared; is that
36 right?

37 A Yes.

38 Q Okay. And that document should be at Tab 4 of
39 your binder, and the CAN reference I think is
40 CAN185610 -- I hope that's right. Okay.

41 THE COMMISSIONER: So did we mark the last exhibit --
42 MS. BAKER: Oh, the last exhibit was already marked.
43 THE COMMISSIONER: Yes, 240?
44 MS. BAKER: 340.
45 THE COMMISSIONER: 340, yes.
46 MS. BAKER:
47 Q Okay. So this document was authored by you, along

1 with Catherine Michielsens from the Salmon
2 Commission, E.J. Porszt, I'm not sure --
3 A Yes.
4 Q -- where this person's from, and Mr. Al Cass, or
5 Dr. Al Cass.
6 A Yes. It's -- the authors are myself, Dr.
7 Catherine Michielsens from the Pacific Salmon
8 Commission, Erin Porszt from DFO and Al Cass from
9 DFO.
10 Q Okay. And why was this document required in 2010?
11 Why were changes made and why did it go into this
12 form of document?
13 A We had presented a Science Advisory Report in --
14 through the normal course of action in November,
15 as we typically do present them, and in -- for the
16 2010 one, we presented at the CSAP process and the
17 Salmon Subcommittee had determined or assessed or
18 concluded that there was -- there had been enough
19 -- there were sufficient changes to the 2010
20 document that we were presenting as a Science
21 Advisory Report, that it required a research
22 document format, and the changes --
23 Q And what's the significance of it going to a
24 research document format?
25 A A research document is much more intense in terms
26 of the analysis that goes into the report. It is,
27 as you can see, this actually has authors that
28 include myself and Dr. Catherine Michielsens and
29 Porszt and Cass, and so this is a research
30 document, more detailed. It also is now going
31 through a more formal review process. In addition
32 to the Salmon Subcommittee, there are two --
33 generally two formal reviewers placed on it. It's
34 similar to in some ways a Masters defence or a
35 Ph.D. defence, or a publication in the primary
36 literature, where you're actually getting formal
37 reviews for this. So the document gets sent to
38 formal reviewers. In the case of this document,
39 we had Dr. Randall Peterman, as well as -- so from
40 Simon Fraser University, as well as Dr. Chris
41 Wood, as formal reviewers.
42 So in the case of a research document, it
43 goes through that formal review process. Those
44 reviewers provide comment, as well, on the day of
45 the CSAP meeting. For example, Dr. Randall
46 Peterman attended the CSAP proceedings, and
47 provided comments throughout that, as well, in

1 addition to his formal written comments. And as
2 well there's a Salmon Subcommittee present,
3 typical of the Science Advisory Reports, as well,
4 where all the people present, including internal
5 and external to the Department experts. Technical
6 experts on forecasting, as well as Fraser sockeye
7 attend and it's essentially a defence of the paper
8 by the authors to the Salmon Subcommittee that
9 also includes the two formal reviewers, and it
10 includes internal and external. So it's -- it's a
11 step up from the Science Advisory Report in terms
12 of the formality of the review process. And as I
13 said, it's very similar to other review processes
14 that involve Masters, Ph.D., or primary literature
15 publication.

16 Q And was there something that -- like what happened
17 to generate the need for this. Like, what were
18 the changes -- why were the changes made?

19 A For Fraser sockeye we'd seen productivity declines
20 for these stocks for some time. We'd been
21 reporting on them even in the -- these forecast
22 documents starting in the 2006 paper, perhaps
23 earlier, I just haven't scrutinized them to date,
24 but they -- for this meeting. So we'd been
25 observing these declines in productivity. And in
26 2009 we also saw an extremely low productivity
27 event, the lowest productivity we'd seen on
28 record. But we'd still seen these persistent
29 declines in productivity.

30 So for the 2010 forecast we wanted to present
31 alternative hypotheses for future survival for
32 Fraser sockeye. Typically we'd been using the
33 long-term average, so the full time series to
34 forecast returns, so the full stock recruit time
35 series. And in the 2010 forecast we wanted to
36 present alternative assumptions about future --
37 about the survival of Fraser sockeye in this paper
38 in light of declines in productivity.

39 Q And just to -- just to flag, if you can turn to
40 page 29 of the document. I'm not sure what the
41 CAN reference number is, but 29 on the document
42 itself -- 29, sorry. Okay. This starts, there's
43 a series of pages where the declines are
44 graphically presented, and I'm not going to spend
45 any time on this, I just wanted to flag that's
46 what these graphs are showing, the returns over
47 time and the decline on some, but not -- not all.

1 A That's correct. There is -- most of the
2 forecasted, the 19 core forecasted stocks have
3 been exhibiting systematic declines in
4 productivity. There are a few stocks such as
5 Weaver, Late Shuswap, that have not been
6 exhibiting systematic declines in productivity, as
7 well as Harrison, in contrast, that has been
8 exhibiting systematic increases in productivity.

9 Q All right. So you were faced in 2009 with the
10 lowest returns ever and that caused you to go and
11 have a look at how you were putting assumptions
12 into the model, or whether there was other
13 assumptions that could be made to improve your --
14 your forecasting outputs; is that fair?

15 A It was -- the declines that we'd seen
16 systematically over time and 2009, as well, that
17 led to the -- exploring the forecast methodology
18 in a different way.

19 Q Okay. And what was the change that was made in
20 the 2010, what was the new assumptions that were
21 put in?

22 A For the 2010 document we included three different
23 alternative assumptions about survival of Fraser
24 sockeye, and that, when I say survival, includes
25 from the egg stage all the way through to the
26 adult return stage. So we included three
27 different scenarios that reflect different
28 assumptions about the survival experienced by fish
29 returning in 2010, starting from when they were in
30 the gravel, all the way through to their adult
31 return.

32 The first productivity scenario that we
33 included was long-term average productivity. And
34 that methodology to produce that forecast table
35 was identical to past methodology that has been
36 used. So it's using the full time series in the
37 context of forecasting to generate the forecasts.
38 So there's nothing new with the recent -- the
39 Long-Term Average first case productivity table.

40 The differences in the forecasting
41 methodology occurred in the second and third
42 cases, which are the Recent Productivity forecast,
43 which assumes that recent productivity is what --
44 what we're using. It's the assumption that recent
45 productivity is what's going to persist through to
46 2010, is the second assumption. And the third
47 assumption or the third forecast table is if 2009,

1 which was the lowest productivity on record for
2 most of the Fraser sockeye stocks, if 2009 repeats
3 itself, it is the forecast that we would expect --
4 the return that we would expect to see in the
5 third forecast is if 2009 productivity repeated
6 itself through to 2010.

7 The specific changes for the second forecast
8 that I just mentioned, the Recent Productivity,
9 I'll go through that because -- I'll go through
10 the last two cases where the forecast specific
11 methodologies changed.

12 In the second case, the Recent Productivity
13 forecast, the major changes in that were the
14 inclusion of three new models. What we've called
15 the RS4 year, which is recruits per spawner in the
16 last four years, the RS8 year, which is the
17 average recruits per spawner in the last eight
18 years, and the Kalman filter Ricker model. And
19 these three models are using -- they're using as
20 predictor variables the brood year escapement,
21 which -- what we use for Fraser sockeye is
22 effective female spawner abundance, which is
23 females multiplied by their spawner success, how
24 successfully were they -- how successfully were
25 they as spawners in terms of their percent spawn
26 in terms of their eggs present in their carcasses.
27 So that's what we're using as a predictor variable
28 for the three new models.

29 The RS4 year is simply taking that brood year
30 escapement and multiplying it by productivity in
31 the four last years, or the last eight years. so
32 RS4 year, RS8 year. The Kalman filter Ricker
33 model is using the Ricker model form, but it's --
34 classically models use the full time series, and
35 in a Ricker model there's a parameter for the
36 productivity of a stock. And when you're using
37 the full time series, that model is parameterized
38 using the full time series. So from the high
39 productivity period all the way down to the low
40 productivity period, that's typically what's used,
41 and if we used a Ricker model in the Case 1 "Long-
42 Term Average" forecast, it would be using a
43 productivity that reflects the full time series.

44 What the Kalman filter Ricker model does is
45 focus that productivity parameter on the more
46 recent time series, which has been lower in terms
47 of productivity. So typically if stocks had been

1 declining, the Kalman filter Ricker model would
2 produce a lower forecast because it's picking up
3 that lower productivity in a biological model
4 context, and that model is based on work by
5 Catherine Michielsens as well as collaboration
6 with Randall Peterman, Dr. Randall Peterman from
7 SFU who has published work on the Kalman filter
8 model and describes the importance of using such
9 models, given in light of -- when you see shifts
10 in productivity.

11 So those would be the three new models that
12 we've used in the second case, which is the Recent
13 Productivity. They're models that specifically
14 pick up Recent Productivity.

15 Now we still used all our full suite of
16 candidate models for each stock. We just added
17 these three new models, and we've run them through
18 a retrospective analysis, that I've described
19 earlier, to compare which models perform better.
20 The other difference with that second case, which
21 is the Recent Productivity forecast scenario, is
22 that we look at the performance of all of these
23 models over the recent time period, so in the last
24 eight years. So rather than taking the full
25 retrospective period, which is the second half of
26 the time series, we're only using the last eight
27 years. Because productivity's declined, we want
28 to see if certain models are performing better,
29 more in the recent period. And so that would be a
30 departure from the first case scenario, where
31 we're using the full retrospective time series to
32 rank the models.

33 The other difference between the second case
34 and the case we -- the first case, so the recent
35 productivity versus the long-term average, is that
36 five-year-old recruits -- typically when we're
37 generating forecasts, we generate forecasts for
38 the four and five-year-old recruits, and then by
39 assigning age proportions to those recruits, we
40 add them together to get the total forecast. So
41 typically for the Long-Term Average Productivity
42 forecasts, we would just run the two recruitments
43 through the model and get the recruitment, and
44 then do those calculations.

45 In the case of the Recent Productivity,
46 because the five-year-olds in this -- the Fraser
47 sockeye are four and five-year-old fish, so we're

1 generating forecasts for four and five-year-olds,
2 and adding them together, because we expect four
3 and five-year-olds to return. In the case of the
4 five-year-olds, they would have been from the same
5 adult spawners. They would have entered the ocean
6 at the same time as the four-year-olds that
7 returned in 2009, so in the previous year. And we
8 know from any of those stocks that previous year
9 was the lowest survival on record for a number of
10 the stocks, lowest productivity on record. So for
11 the five-year-old component, for the Recent
12 Productivity forecasts we used the preliminary
13 productivity from the previous year, from 2009,
14 knowing that these five-year-olds experienced all
15 the same survival conditions, so likely they will
16 be equally coming back on similar productivities.

17 We used preliminary productivity from 2009 to
18 forecast the five-year-old component of the total
19 forecast. And what that means is essentially
20 because it's the lowest productivity on record,
21 it's even lower than the recent four years. If
22 you're generating a forecast for the five-year-
23 olds, it will be much lower, given it's the lowest
24 we've ever seen on the Fraser sockeye record for
25 most stocks. So the five year -- there was a
26 difference in that five-year-old component, as
27 well, for the Recent Productivity forecast.

28 Model selection was the same for Recent
29 Productivity forecast, where you would rank the
30 models and select the top models to generate
31 forecasts.

32 And the final forecast scenario, the third
33 one, was what if 2009 repeats itself. And so we
34 say the same productivity we saw in 2009 repeating
35 itself in 2010, what would we see in terms of
36 returns. So that was the last scenario where we
37 took preliminary productivity again from 2009 and
38 we applied it to both the four-year-olds and the
39 five-year-olds. So in Case 2 we only used 2009
40 productivity for the five-year-olds, because we
41 know they encountered the same survival
42 conditions, but for the what if productivity in
43 2009 repeats itself, we just applied the
44 productivity we saw in 2009 to generate forecasts
45 for 2010 returns, based on the brood year
46 escapements for 2010.

47 So it's -- it's the assumption that if 2009

1 repeats itself, this is what we would see and we
2 presented it in the third forecast table.
3 Q Thank you. It's complicated --
4 A Yes.
5 Q -- so I appreciate you going through it. With
6 those three different case studies, as you've
7 described them, you then went through the same
8 forecasting exercise that you had done in the
9 years previous, or as you've described as
10 modified, but you created a forecast for each of
11 the stocks, for each of those cases; is that
12 right?
13 A That's correct.
14 Q Or run-timing groups, I guess, in some cases.
15 A Yes. And I should -- there was one thing I wanted
16 to elaborate on when you were referring to the
17 2006 methodology. One thing that we started to do
18 differently is instead of just choosing the top-
19 ranked model to generate the forecast, we compare
20 -- because in the ranking process, it's an
21 important thing to bring up, because you're asking
22 about changes. And one thing we layered on from
23 the Cass et al paper, and this is a lot of -- from
24 advice from other and from different meetings,
25 from a lot of input from the Pacific Salmon
26 Commission, we -- we compare the forecasts that
27 are produced for not just the top model, but the
28 top-ranked models and compare the actual forecasts
29 being produced. Because sometimes performance
30 between the first-ranked model and the second-
31 ranked model can be very small, so we want to see
32 if the forecasts are telling us something
33 different using a different model form. So we go
34 through a whole process of evaluating how for each
35 stock the top models --
36 Q Okay.
37 A -- forecast.
38 Q Okay. So you do the mathematical modelling and
39 you come up with your best estimate of a forecast
40 for each of the different 19 stocks in most cases,
41 and/or the run-timing groups. The Case 3 you only
42 had run-timing groups for; is that correct?
43 A That's correct.
44 Q Okay. So without getting into that minutiae for
45 right now, that -- those forecasts were then
46 presented in the 2010 research paper on page 41 in
47 a graph or a figure that shows sort of the

1 aggregated information put together using the
2 different models. So we have, if you can turn to
3 page 41, which is 47 in Ringtail, I think, and
4 it's not in colour, but hopefully you can describe
5 what's on that.

6 So this document, as I understand it, the
7 first graph, which says "A. All Stocks", puts all
8 of the different run-timing group aggregates
9 together and it shows the total run size forecast
10 using "1. Long-Term Average Productivity", which
11 is sort of the old method.

12 A Mm-hmm.

13 Q And then "2. Recent Productivity", which is Case 2
14 that you just went through. And then "3.
15 Productivity Equivalent to 2005 Brood Year", which
16 is the Case 3 study that you described.

17 A That's correct.

18 Q Okay. And then it's broken down below into each
19 of the run-timing groups that same function, so
20 you've got the calculations done for the Long-Term
21 Average Productivity, the old method, the Case 2
22 and the Case 3. Okay. So can you just explain,
23 like, what's being shown on these -- on these
24 bars, what's -- is this -- this is a probability
25 distribution, I take it.

26 A Mm-hmm.

27 Q Can you explain how that is to be read?

28 A These are plots to graphically display the
29 probability distributions of the forecast table,
30 and it's communicating -- this table is -- this
31 figure is specifically communicating the random
32 stochastic uncertainty in the forecast that deals
33 with what I described earlier in terms of
34 observation error, what's called variability in
35 returns from one year to the next, so the width of
36 that horizontal bar is describing the uncertainty
37 from those two elements. And in addition it's
38 also -- these figures are describing uncertainty
39 in regards to your different assumptions regarding
40 productivity for Fraser sockeye under the three
41 different scenarios. So under the assumption that
42 long-term average productivity will persist into
43 2010, whether recent productivity is going to
44 persist through to 12010, or whether productivity
45 equivalent to the 2005 brood year, which means
46 productivity that we saw associated with the 2009
47 returns, which was the lowest on record, whether

1 that will repeat itself through to 2010. So there
2 are three alternative assumptions about what we
3 might expect to see in terms of productivity for
4 Fraser sockeye.
5 So the width -- the width of those horizontal
6 bars are describing -- yeah, I'm just repeating
7 myself.
8 Q So that's -- okay. So just in lay people's terms,
9 if we look at the Long-Term Average Productivity,
10 the first, grey bar would show what, the ten
11 percent probability?
12 A Yes, the left-hand component of all those bars
13 which is dark grey on the left-hand side of all
14 the graphs is the ten percent probability level.
15 Q Okay. And then you move into the black bars and
16 there's a white separator at some point on that
17 bar. That's -- is that the 50 percent probability
18 mark?
19 A That's correct. So these are the probabilities
20 extracted from the forecast table and they're
21 describing the probability of a return coming in
22 at that return abundance, or below. So the 25
23 percent probability level would be describing a
24 probability of being at that run size, so there's
25 a one-in-four chance that the return would come in
26 at or below that specified run size.
27 Q Okay.
28 A So you're right, Wendy, the white bar is the 50
29 percent probability level.
30 Q And the numbers on the -- on the "x" axis, those
31 are numbers of fish, right, like the --
32 A Total returns.
33 Q Total returns.
34 A Yes.
35 Q Okay. So if we look at the Long-Term Average
36 Productivity bar for 2010, you are predicting, I
37 take it, if we take the grey bar right out to the
38 right-hand margin, that there is a 90 percent
39 chance that the -- sorry there was a 10 percent
40 chance that the run would be 40-plus million or
41 less. Is that how we read this?
42 A A 90 percent probability that it would be at 41
43 million or less.
44 Q Okay. Oh, sorry, yes.
45 A Yes.
46 Q I don't know why I keep getting these --
47 A Oh, it's --

- 1 Q -- probabilities reversed, but someday I'll get
2 it. All right. And then the next line, "Recent
3 Productivity", there are some arrows pointing to
4 the different dividers on this graph. Can you
5 tell me why that is?
- 6 A The arrows were communicating the exercise we just
7 went through in identifying the -- the break
8 points between the 10, the 25, 50, 75 and 95
9 percent probability levels, and these probability
10 levels are extracted from the actual three
11 different tables. So it's those colour breaks
12 that are identical in terms of what probability
13 level they're representing on the three different
14 scenarios for your assumptions about -- the
15 assumptions about productivity for Fraser sockeye.
- 16 Q And is there a reason why the Case 2, "Recent
17 Productivity" is highlighted in that way that the
18 arrows are pointing to that bar and not one of the
19 other two bars?
- 20 A I was just trying -- we were trying to select the
21 -- the easiest one to illustrate that example.
- 22 Q Okay. The 2010 return, did it actually come in
23 within any of the forecasts that were produced for
24 the 2010 year, the actual return for 2010? Is it
25 -- does it show, does it fall within any of these
26 probabilities we see on the graphs?
- 27 A It's very preliminary, the return results, so they
28 haven't been finalized yet. But for 2010 the
29 return I think was around 35 million. So it would
30 fall within the probability distribution for the
31 Long-Term Average Productivity scenario. But that
32 is looking at the total.
- 33 Q Yes.
- 34 A Yes. So it does.
- 35 Q Okay. I mean, the Commission has heard at public
36 hearings that the 2010 forecast was inaccurate and
37 that caused various problems. Do you consider
38 that the 2010 forecast was inaccurate, based on
39 the work that you did?
- 40 A The -- well, I guess, when you're looking at these
41 probability distributions, they are describing the
42 total distribution. The actual return does -- if
43 you look at -- break it down by stock, we don't
44 have all the final details for all the stock
45 breakdowns, but the -- these probability
46 distributions are describing the -- I guess using
47 the word "inaccurate" is probably not what I would

1 describe it as. These forecasts are describing
2 the range of uncertainty and our knowledge based
3 on these different assumptions about future
4 survival, and what the returns came back at,
5 particularly for certain stocks, particularly Late
6 Shuswap and the Early Summer Shuswap group came in
7 on the higher end of the probability distribution.
8 Other stocks came within the probability -- came
9 in some cases below the 50 percent probability
10 level for the Long-Term Average, sometimes above.
11 So there's lots of variability in productivity for
12 the returns that we saw in 2010.

13 So what these forecast scenarios are doing is
14 placing those returns in the context of the
15 different assumptions about future productivity
16 and providing a measure of where those actual
17 returns are falling out in regards to long-term,
18 recent or 2005 brood year productivity. So they
19 were on the map in terms of long-term average
20 productivity. So what the forecasts are telling
21 us is that for a lot of stocks, the 2010 returns
22 were well above average for the case of Late
23 Shuswap, but they're also telling us for some
24 stocks, because you have to go through the
25 complexity of all the stocks that exist, that some
26 stocks were below average in terms of long-term
27 average productivity. So we use the forecast to
28 -- as a sort of map to place the returns in the
29 context of the different productivity scenarios.

30 MS. BAKER: Okay. Mr. Commissioner, I wasn't keeping a
31 very close eye on the clock, and I see it's
32 already almost 20 after 11:00. Did you want to
33 take a break here?

34 THE COMMISSIONER: Yes.

35 MS. BAKER: Thank you.

36 THE REGISTRAR: The hearing will now recess for 15
37 minutes.

38
39 (PROCEEDINGS ADJOURNED FOR MORNING RECESS)

40 (PROCEEDINGS RECONVENED)

41
42 THE REGISTRAR: Hearing is now resumed.

43 MS. BAKER: Can you just turn your mike on? Thanks.

44
45 EXAMINATION IN CHIEF BY MS. BAKER, continuing:

46
47 Q So I'd like to go back to the 2010 research

29
Sue Grant
In chief by Ms. Baker

1 document and actually, could I have this marked as
2 an exhibit, just for reference?
3 THE REGISTRAR: Exhibit number 352.

4
5 EXHIBIT 352: Pre-Season Run Size Forecasts
6 for Fraser River Sockeye Salmon in 2010
7

8 MS. BAKER:

9 Q If I can ask you to turn to page 44, which I think
10 is 48 in the Ringtail numbers -- sorry, 50.
11 Apparently I can't count.

12 This table sets out - and let me just back up
13 for a minute. You did a table that sets out the
14 results of your bottle runs for each of the three
15 cases, correct?

16 A Yes.

17 Q So I'm just going to, in the interests of time, go
18 to case 2. I understand case 2 is what was
19 ultimately recommended for the 2010 forecast; is
20 that right?

21 A The -- yes. I'll just elaborate on that. It was
22 the CSAP Salmon Subcommittee had put that forward
23 as the forecast with the greatest weight of
24 evidence, the most plausible forecast. So Case 2
25 was in light of recent low productivity put
26 forward as the most plausible; however, the first
27 and the third case were still considered within
28 the realm of possibility. We just had the
29 greatest weight of evidence put forward for case
30 2.

31 Q Okay. So with that in mind, I think I'll just
32 focus on case 2 for today's hearing, just to
33 review it. So this document or this page of the
34 document, I should say, sets out your forecast
35 results using that recent productivity analysis
36 that you described earlier?

37 A That's correct.

38 Q Okay. And again, on column A it sets out all the
39 different stocks within the run timing groups,
40 including the miscellaneous stocks?

41 A Yes.

42 Q And then the next Column B, this sets out the
43 different models that you use to create the
44 forecast, the ones that were most appropriate for
45 those stocks?

46 A That's correct.

47 Q All right. And then what do the tables C, D, E,

January 26, 2011

1 F, G and with the nice colours, what does all that
2 describe?
3 A Those columns are setting the stage or providing
4 background for the forecasts. And for the models
5 being used, the -- the Brood Year escapement is a
6 key input to a lot of the different models and the
7 Brood Year escapement, so Column C has BY and then
8 in brackets (06) and then underneath EFS and
9 that's Brood Year 2006 effective female spawners,
10 so that's the predictor variable that we use in
11 most models.
12 Q So if I can just stop you for a minute --
13 A Yes.
14 Q -- those show the parent generation for the four-
15 year-old returns; is that right?
16 A Yes. That's correct.
17 Q Okay.
18 A The parental females from -- for the fish
19 returning in 2010. That's correct.
20 Q As four-year-olds?
21 A As -- sorry.
22 Q And then the one beside it is the same but is it
23 for the five-year-old numbers?
24 A Yes.
25 Q Okay. And then what do the colours mean, yellow,
26 red and green?
27 A Based on time series averages for each individual
28 stock, we created a distribution and -- a
29 distribution of Brood Year escapement or in the
30 case of Columns E and F, a distribution of
31 productivity in the last -- oh, productivity on
32 the time series and a distribution of returns, and
33 we broke that into three categories, whether it
34 was below average, which it would -- below the
35 time series average, so we would colour code it
36 red if the Brood Year escapement or the
37 productivity or the returns are average, we'd
38 colour them yellow in this table. And if they're
39 above average, they'd be coloured green.
40 So we're using this as a tool, a ground
41 truthing tool, as well as a tool to give you an
42 idea of how the returns are -- what are driving
43 the returns we would expect. So in this forecast
44 scenario, because we're looking at recent
45 productivity, I wanted to -- we wanted to
46 highlight in Column C, in particularly Column C,
47 which is the driver, that most of the Brood Year

1 escapements for most of stocks as a starting point
2 for what we expect to see in the future was
3 generally a lot of the stocks were yellow or
4 green. So they were either average or above
5 average in terms of their Brood Year escapement,
6 so at the very starting point in the forecasting
7 process, the number of parents that were around in
8 most of the systems was actually average or above
9 average. So things were good from that
10 perspective, starting out.

11 There were four stocks that were below
12 average, so Bowron, Late Stuart, Quesnel, Weaver
13 were four stocks that had below average Brood Year
14 escapements so they're starting out, out of the
15 starting blocks, a little bit behind everything
16 else for those individual stocks, given their own
17 individual long-term time series for escapements.
18 So that's part of the story when you're generating
19 a forecast.

20 The other parts of the story, the five-year-
21 old component, the contribution of the five-year-
22 old parents, the parents that are producing five-
23 year-olds in 2010 are playing a very small role in
24 this forecast, because we were assuming that
25 productivity associated with these five-year-olds
26 is identical to the four-year-olds that came back
27 in 2009, so the lowest productivity on record for
28 most stocks because the five-year-olds came from
29 the same parents as the fish that returned in 2009
30 and they hit the ocean at the same time as those
31 fish hit the ocean in 2009, so they experienced
32 almost identical survival conditions. The only
33 difference is they spent one additional year in
34 the ocean.

35 So we're making an assumption that these
36 five-year-olds -- I put it there just as a gauge
37 for how the five-year-old contribution is doing,
38 so in terms of red and green, but in a way they're
39 not playing a big role in the forecast, because
40 the five-year-olds are being forecast using the
41 very low productivity that we saw in 2009, because
42 we expect them to be hit similarly by that low
43 productivity. So the four-year-olds, Column C, is
44 really driving the total return as a predictor
45 variable.

46 Then in Column E and F -- so there's three
47 key factors that determine how many fish you might

1 expect to see. The first is how many parents do
2 you have - so that's the Brood Year escapement -
3 and how many parents are you starting out with.
4 The second important variable is the age structure
5 which I've just described, so what is that? How
6 old are they when they return? So Fraser sockeye
7 mostly are going to return as four-year-olds, so
8 we're really focused on Column C.

9 The third important thing is the survival.
10 So if you know how many parents there are and you
11 know survival, you've got your answer. So what
12 Column E and F are describing are the recent
13 productivities for Fraser sockeye. So the last
14 eight years, Column E is productivity in the last
15 eight years and F is productivity in the last four
16 years. And again, we're colour coding these
17 productivities in the last four years and the last
18 eight years relative to the time series, and if
19 the recent productivities are below average,
20 they're coloured red --

21 THE COMMISSIONER: Just ask you a question?

22 A Yeah.

23 THE COMMISSIONER: I'm -- I'm trying to follow the four
24 and five-year split.

25 A Okay.

26 THE COMMISSIONER: Do the models take into account that
27 -- you mentioned 2009 is the lowest productivity
28 year on record.

29 A Yes.

30 THE COMMISSIONER: Right. Do the models build into
31 their calculation a factor for perhaps the 2009
32 year showing up in 2010, along with the 2010
33 expectation in terms of returns? So if there was
34 some reason that we don't know of why there was a
35 delay for more than the usual number of sockeye --

36 A Mm-hmm.

37 THE COMMISSIONER: -- in other words, they didn't come
38 back in the four-year span but for some reason
39 that we don't know --

40 A Mm-hmm.

41 THE COMMISSIONER: -- there was a cause for this
42 delay --

43 A Mm-hmm.

44 THE COMMISSIONER: -- so that more came back along with
45 what was expected for the 2010 year, so you get
46 this --

47 A Mm-hmm.

1 THE COMMISSIONER: -- now, you know, the bookend. We
2 have an extreme low return --
3 A Mm-hmm.
4 THE COMMISSIONER: -- with an extreme high return.
5 A Mm-hmm.
6 THE COMMISSIONER: How do the models adjust for those
7 -- you talked about uncertainties earlier
8 around --
9 A Mm-hmm.
10 THE COMMISSIONER: -- environmental factors and so on.
11 A Yeah.
12 THE COMMISSIONER: But just in terms of other kinds of
13 factors that may be playing, do the models take
14 any of that into account or are they, as you say,
15 giving a very low weight attached to the five-
16 year?
17 A Now, that's a really good question and I'll
18 explain in response to that. It's a very good
19 question because people -- that was coming up in
20 public spheres, scientific spheres, with the low
21 returns in 2009, was there the possibility that
22 those four-year-olds just delayed and were
23 returning as five-year-olds. With the forecasting
24 process, we're using the past to predict the
25 future. And in the past - and we did look at this
26 intensively - was -- we've never really seen that
27 kind of response in the age four and five age
28 structure. It's never been seen before where
29 there's a massive signal where you see a massive
30 shift in age proportions.
31 So generally speaking, for most Fraser
32 sockeye stocks, the age four component makes up
33 about 95 percent of the total age structure. And
34 throughout time for most of those stocks, that age
35 structure doesn't vary. If it does, it's very
36 little.
37 We've never seen on the time series for any
38 stock -- and I'll explain one exception after I
39 finish this part, is that we've never seen a shift
40 like that. So even though that was out there as a
41 hypothesis, looking at our historical data which
42 is what we use to forecast and move forward into
43 the future, we've never seen that kind of delay in
44 the five-year-olds that would create a surplus in
45 the next generation. So what you are suggesting
46 -- or what your hypothesis would have been would
47 be we would expect, instead of the usual 85

1 percent in 2010 of age fours, we might see 85
2 percent age fives because they've all come back
3 from the previous year. But because we use the
4 past to predict the future, we've never seen that
5 for the Fraser sockeye stocks except for one
6 exception, and I'll explain that.

7 And we're using the past to predict the
8 future. We wouldn't build that into the models.
9 We would still use the classic age proportions
10 that we've seen on the historical time series. So
11 there's no -- that would be an event that would be
12 outside of our range of understanding, so we
13 couldn't incorporate it into our models because
14 we've never seen it before. So it's a hypothesis.
15 If it came true, it would have been very
16 interesting and it would have added to our time
17 series and it would add more knowledge for future
18 hypothesis-building, but for the current year, we
19 didn't have any evidence that that's occurred
20 ever.

21 Harrison, I'll just explain, is one
22 interesting stock. You've probably heard about it
23 already throughout the testimony. Harrison
24 sockeye are three and four-year-old fish and
25 they're unique because all other stocks spend an
26 additional year in the fresh water after they
27 emerge from the gravel, so they rear in a lake and
28 then after that year of rearing in a lake, the
29 migrate to the ocean, so they've got a longer
30 freshwater life history; whereas Harrison sockeye,
31 when they emerge from the gravel, they shortly
32 after that emergence are migrating to the ocean.
33 There's some -- some research that shows that they
34 rear in sloughs along the way, but not for very
35 long.

36 Harrison sockeye, as a result, have a
37 different age structure. We call them three-sub-
38 ones, four-sub-ones, because they only have that
39 one year in the gravel, and in reference to your
40 question about age structure, Harrison do
41 fluctuate wildly from one year to the next from
42 three-year-olds to four-year-olds, so they're the
43 only stock where we see that kind of fluctuation
44 in age structure.

45 And there's some linkage with Harrison
46 delaying a bit more in the marine environment when
47 pinks are out there, as well, so a hypothesis

1 could be that Harrison are out in the ocean, the
2 same time as pinks. They have a similar life
3 history to pinks because pinks also migrate to the
4 ocean right away. They don't rear in the fresh
5 water, so they're presumably competing for the
6 same food resources in the ocean.

7 And because Harrison is competing with this
8 large abundance of pink - and this is a
9 hypothesis, not fact - but they could be competing
10 for the same resources out there in pink years and
11 as a result they need an extra year in the ocean
12 before they can return. So in pink years, we do
13 see a slight delay in migration on Harrison
14 sockeye, meaning that in pink years, we do see a
15 slightly greater four-year-old proportion than
16 three-year-old proportion, 'cause Harrison are
17 three- and four-year-olds.

18 But they're the only stock we've ever seen
19 anything like that for, evidence that their age
20 structure dramatically shifts from one year to the
21 next. So to answer your question, we haven't
22 built that into the forecast because we've never
23 seen it before. So that would -- that's an
24 interesting hypothesis and, of course, people were
25 curious to see whether the age structure in 2010
26 was going to be flipped around and that would have
27 been really fascinating, but we didn't see that
28 and it does map onto what we've seen historically.
29 We've never seen that kind of flip-flop in age
30 structure delay.

31 THE COMMISSIONER: So where in the model do I see the
32 five-year factor being considered?

33 A The age proportions?

34 THE COMMISSIONER: Right.

35 A When we're generating the forecasts, so say for --
36 I'll just start -- say with the biological model,
37 we'll generate -- we'll take the Brood Year
38 escapement, so we have a relationship between
39 Brood Year escapement and recruitments, so say
40 simply -- we've got Brood Year escapement and
41 recruitment and then we've got sort of a model
42 going through and you draw up -- so you say your
43 Brood Year escapement is 10,000 fish and just
44 putting it simply, say there was just a straight
45 line, like a linear regression straight line. You
46 just map up on your X-axis --

47 THE COMMISSIONER: Oh, I see.

1 A -- and you map across. So then you go, okay,
2 there's 10,000 fish. That maps onto 20,000
3 recruits. And we use the word "recruits" to
4 describe the number of fish that comes back from
5 that parental generation and those recruits
6 include four- and five-year-olds.

7 And so what we do is we take -- that's why
8 the two columns, C and D, are in there. We would
9 take Column C, so say for Early Stuart we would
10 take the 15,900 in this -- say this RS4 year -
11 this is recruits per spawner in the last four
12 years - multiplied by Brood Year escapement. We
13 would multiply that Brood Year escapement in 2006
14 brood year, which leads to four-year-olds, but
15 what we're doing is we're generating a forecast
16 for total recruits coming from those parents.

17 So from 2006 four years later there would be
18 four-year-olds coming out of that and five years
19 later there would be five-year-olds coming out of
20 that, but we're just generating a forecast for the
21 total four and five-year-olds from that, and we
22 only want the four-year-old components from that,
23 so we multiply the total recruits that we get from
24 that Brood Year escapement by the proportion of
25 four-year-olds we see on the time series.

26 So say for Early Stuart it's 85 percent four-
27 year-olds, we would take for Brood Year '06
28 15,900. We would get a recruitment from that and
29 multiply that by the proportion of four-year-olds,
30 and that gives us the four-year-old component of
31 the forecast. And it's -- stock recruitment
32 tables, you have to flip your mind around from
33 returns and recruits. Because a parental
34 generation -- it's like your offspring will grow
35 up -- some of their babies will be mature at four
36 years and some a year later at five. So all the
37 recruits coming from this Brood Year escapement
38 are coming back in 2010 and also in 2011, but we
39 only want the component that's coming back in 2010
40 from those parents.

41 And then the 2005 Brood Year, flipping that a
42 little bit, there -- that Brood Year escapement is
43 51,000. What we would do is we'd multiply the
44 51,000 by recent productivity. That's now the
45 year before, the 2005 Brood Year. This parental
46 generation would be producing again offspring in
47 four years later and five years later. And

1 because this is the '05 Brood Year, they would
2 have produced four-year-olds in -- the previous
3 year, in 2009, and they would produce five-year-
4 olds in 2010. So what we're doing is we're taking
5 that Brood Year escapement, multiplying it by the
6 productivity, and we'll get a total recruitment
7 for those parents. Their kids came back four
8 years and five years later, but we in this case
9 only want the five-year-olds coming back because
10 the four-year-olds came back in 2009. So we're
11 multiplying that by the five-year-old proportion,
12 which would be the inverse of the four-year-old
13 component, so a small percentage, like around 20
14 percent of the total run -- or 20 percent of the
15 total age proportion.

16 So each of these Brood Years are producing
17 offspring four and five years later and we're
18 taking that total and assigning only the four-
19 year-olds coming back and the five-year-olds
20 coming back and then we add those two numbers
21 together to get the total. And it's -- that's
22 where the age proportion comes in.

23 THE COMMISSIONER: Right.

24 A Yeah.

25 THE COMMISSIONER: Thank you.

26 A Okay.

27 MS. BAKER:

28 Q Okay. Thank you. Then if we look at the table,
29 we continue to look at the table, it shows in H
30 and I the mean run sizes for all cycles and then
31 for the 2010 cycle; what is that describing?

32 A The mean run sizes place the forecast distribution
33 in the perspective of what we've seen historically
34 on average. There's Column H is across all the
35 cycles, so Fraser sockeye have -- they're four-
36 year-old fish, 85 percent of the -- each stock is
37 generally four-year-olds, so we usually describe
38 Fraser sockeye on -- using cycles.

39 So it's not that they're completely
40 independent of one another, but each four-year
41 cycle since they come back in four years is almost
42 a unique population so there's parents, their
43 offspring come back four years and four years and
44 four years, so they're forming their own, perhaps,
45 productivity pattern or their own like cyclic
46 abundance, there's some cycles are more abundant
47 than others. So we, in addition to looking at all

1 the cycles, all four -- all years combined, we
2 also look at the specific cycle that we're looking
3 at.

4 So, for example, Late Shuswap in 2010 is
5 dominant. It's on its dominant cycle, so that's
6 once in every -- once every four years Late
7 Shuswap comes back at the largest abundances
8 across all cycles, so that's why it's important to
9 compare the forecast distribution to also the
10 cycle average, which tells you specifically
11 anything unique. Some stocks don't exhibit
12 differences in cyclic -- cycle line abundances,
13 and other stocks, Late Shuswap is the key example
14 that comes back at much larger abundances once
15 every four years. So those two are for reference
16 to the forecast, so you can place the forecast in
17 Column J to N in the context of the cycle average
18 and then Column I specifically is used to place
19 Column L, which is the 50 percent median
20 probability level in the context of how the 50
21 percent probability forecast is doing relative to
22 average, which is the colour coded Column G.

23 Q Okay. So in simple terms, all cycles means every
24 single cycle without distinguishing on a cycle
25 abundance basis, just what the mean is.

26 A Yeah.

27 Q And then 2010 cycle is looking at the 2010 year,
28 2006 year, 2002 year and so on back in time and
29 looking at the means just on that cycle line?

30 A That's correct.

31 Q Okay. And then Columns J, K, L, M, N, these
32 describe the different probabilities that you
33 would expect running those models and these are
34 the probabilities that we were looking at
35 previously on page 41 on your horizontal bar
36 graphs, correct?

37 A That's correct.

38 Q All right. Okay. Then that -- I think that's
39 probably enough for me on that document. Probably
40 enough for everybody on that document. It's a
41 great document, but it's pretty dense.

42 The contact -- once that work had been done,
43 you created a SAR document which you described
44 earlier. That's Exhibit 341 for the 2010 year.

45 Okay. And as you had described just after the
46 break, I had said to you well, case number 2 is
47 what was recommended and you indicated that it was

1 put forward, all three cases were put forward in
2 the SAR but the highest probability table or case
3 study was 2 and that's given the most highlight in
4 this document. If we turn to page 8 that sets out
5 the table that we just reviewed minus a couple of
6 the columns. That's right?

7 A Yes.

8 Q Okay. And then if we turn to the next page, this
9 sets out some summary information on the other two
10 case studies, the long-term average and the
11 productivity equivalent to the 2005 Brood Year,
12 correct?

13 A Yes.

14 Q Okay. Did you -- do you think that there was
15 value in performing these three different case
16 studies using these different assumptions? Was
17 that a useful exercise?

18 A Yes. I would say that producing three different
19 tables for our different assumptions about Fraser
20 sockeye survival through to 2010 was a valuable
21 exercise.

22 Q And why is that?

23 A The -- the three tables have been useful,
24 particularly -- well, they're useful for framing
25 out the uncertainty in the forecasts -- in the
26 return in 2010 associated with our forecasts, both
27 from, as I'd mentioned earlier, by presenting the
28 probability distribution from the ten to the 90
29 percent probability level, it's describing that
30 uncertainty in the models, the process, the
31 observation error, et cetera, within the models,
32 but we're also presenting the uncertainty in these
33 three tables regarding future survival. So
34 whether we expect 2010 to return at recent
35 productivity, aligned with recent productivity,
36 long-term average or whether we expect 2009 to
37 repeat itself.

38 The usefulness of the tables laid out this
39 way, if we had just presented the recent
40 productivity table or we just continued on with
41 the long-term average productivity table, the
42 advantage of these tables was to place the returns
43 that we saw coming back on these as maps, so
44 particularly with greater stock detail. So these
45 SARs, particularly for the long-term average
46 productivity, there was more detail for the
47 individual stocks on -- in the research document

1 for 2010 versus what's in this table we've
2 simplified, because this is a communication
3 document and we were really putting forward the
4 recent productivity forecast, but the research
5 document is also used during Fisheries planning
6 processes, so they would have the greater detail,
7 as well.

8 So when stocks are returning, it enables us
9 to place on these maps where these stocks are
10 falling out, so often in -- we've heard a lot in
11 the press, fix a real focus on 50 percent
12 probability levels and they're being communicated
13 often as deterministic single point estimates, but
14 these forecasts are actually describing the range
15 of uncertainty we're seeing both as I'd mentioned
16 in process observation error, as well as in
17 different assumptions about future survival. So
18 what they're used as or what we can use them as is
19 a map to place the stocks as they're coming in
20 onto these different probability -- these
21 different assumptions about survival and it gauges
22 right away where we're at.

23 So in the case of stocks, we had recommended
24 since we'd seen productivity in recent years had
25 been quite low, we made assumptions that the
26 greatest weight of evidence was that we'd expect
27 to see that in the future but what we started to
28 see with the stocks as they were returning was, in
29 fact, they were coming in closer to the long-term
30 average than they were the recent average. So
31 even though the greatest weight of evidence was on
32 the recent productivity, we weren't saying that
33 these other scenarios couldn't happen because we
34 actually don't have indicators telling us which of
35 these scenarios could happen. We just felt that
36 the past, immediate past, would predict the future
37 better than the historical time series.

38 So as the run started coming in, we started
39 placing them on these maps, realizing that Early
40 Stuart was coming in greater -- so that's the
41 first run-timing group to enter the Fraser
42 watershed, and that group started coming in at the
43 high end of the recent productivity scale. And
44 but when you place it on the long-term average
45 productivity scale that uses the whole time
46 series, not just the recent productivity, it
47 started referencing where that stock is actually

1 falling in reference to a long-term average. So
2 that one roughly was coming in around 100,000. I
3 don't -- they're not final numbers yet, but you
4 can see that it places it between the 25 and the
5 50 percent probability level on the long-term
6 average productivity table. So it's actually
7 closer to long-term average than it was recent
8 productivity. That's the first stock to enter the
9 Fraser watershed.

10 Then -- there's overlap between all these
11 four run-timing groups, but it's starting to give
12 an early sign that things might have been better
13 throughout that life history of Fraser sockeye
14 from the egg stage all the way through to the
15 adult return. There was some signs that Early
16 Stuart was coming back better than the low
17 productivity we'd seen in recent years. And as
18 other runs started coming in, we don't necessarily
19 have the detailed stock breakdown, but we have
20 aggregates of stocks depending on how fine of a
21 genetic analysis we're doing on the returns as
22 they're coming in, because we don't get down
23 specifically in season to specific stocks. But
24 there were signs that particularly the Shuswap run
25 was coming in much better than expected, and
26 that's the Early Summer Shuswap run, so it's
27 occupying some of the same habitat that the Late
28 Shuswap, which is the Adams run, which was the
29 massive run in 2010, that run in the Early Summer
30 component, we started seeing signals that that was
31 falling out high in the long-term average
32 productivity table.

33 There's a lot of nuances to the individual
34 stocks, so often we do fixate on a single number,
35 like the 2009 forecast; 10.6 million is a number
36 that's used over and over again but really you've
37 got to focus on the nuances of the forecast tables
38 amongst all the stocks and the probability
39 distribution. In 2010 the value of these tables
40 are is being able to place the individual stock
41 groupings you have as they're coming in right away
42 onto a map that's telling you what productivity
43 was like for the individual stocks.

44 And we always hear -- we over-simplify it a
45 lot. We'll say 2010 was a bonanza year; 2009 was
46 a crappy year or a bad year. But there's actually
47 nuances to the stocks that you can see within the

1 forecast tables. So, for example, 2010 was really
2 great for the Shuswap run stocks, so Late Shuswap,
3 which was the Adams, which we knew even from the
4 start was going to drive the forecast. We hadn't
5 seen productivity declines for it, so in fact,
6 even in the recent productivity forecast, we
7 weren't -- the forecast in the recent productivity
8 versus the long-term average for Late Shuswap
9 wasn't too different, because we hadn't seen
10 productivity declines for Late Shuswap, which was
11 the driver of the 2010 forecast. It's actually
12 had very stable productivity over time, relative
13 to all the stocks that have been showing these
14 declining trends.

15 And so based on our recent knowledge, as well
16 as our historical knowledge for Late Shuswap, we
17 didn't expect to see a real drop in abundance for
18 Late Shuswap. We didn't expect to see lower
19 productivity. And if you look at the two tables,
20 especially in the research document for Late
21 Shuswap, you won't see a big difference between
22 Late Shuswap for the long-term average
23 productivity table and Late Shuswap for the recent
24 productivity table. They both have very similar
25 forecasts because we didn't see declines in
26 productivity.

27 So that was interesting about 2010 and these
28 three tables, because Late Shuswap, which again we
29 expected to return at high abundances, actually
30 turned at really high abundances. It was -- I
31 believe they probably came out at the 90 percent
32 or above the 90 percent probability level, so
33 we're at the tails of the distribution. So they
34 were actually, based on this kind of system of map
35 -- or just kind of placing them on the map of the
36 three forecast tables, you could tell right away
37 that Early Summer Shuswap were coming back at --
38 on the long-term average, even above average. And
39 but you could also see that other stocks, even
40 Early Stuart -- 'cause when we say 2010 was a
41 gangbusters year, Early Stuart actually didn't --
42 it was better than recent productivity, but based
43 on the long-term average, it was still below
44 average.

45 And there's other stocks that are below
46 average, so it's important when we're looking at
47 the forecasts to really focus on the complexity of

1 the forecast tables, not default to just a single
2 number like 10.6 million. And these tables, the
3 real benefit is that perspective, that even in
4 season people -- science, scientists and people
5 using the information in season to manage the
6 fisheries could start switching their attention to
7 the long-term average productivity table. They
8 started seeing signals and they had a table right
9 in front of them that would say if things are
10 above average now, this is what we're looking at
11 more than this recent productivity, and they could
12 clearly say that we weren't experiencing what we
13 saw in 2009.

14 So we -- fairly early on, I'm sure the --
15 that was out of the realm. People were starting
16 to think okay, we're not going to see 2009 again.
17 And then you started seeing that it is actually
18 better than recent productivity, so it's more on
19 the long term. But amongst all those stocks,
20 there's still nuances, which is always important
21 to keep in mind. The same for 2009, there's a lot
22 of nuances to the returns.

23 It's not -- in 2009, almost every stock was
24 bad, poor productivity, amongst the lowest on
25 record. But Harrison was still an exception in
26 2009, so when you look at the full forecast table,
27 you could see Harrison actually came in above the
28 -- above average in terms of its productivity.

29 And even within these probability levels,
30 stocks aren't all coming in at the same kind of --
31 within their forecast distribution, so although we
32 do a summation at the end, it's really important,
33 especially for management purposes, I think, as
34 well, to make sure you focus on the stocks and the
35 run-timing groups. And it's a long answer to why
36 those three tables are important.

37 Q Thanks. Do -- can the run size forecasts be
38 updated after the SAR has been developed? Are
39 changes made?

40 A Changes can be made to the forecast all the way up
41 to when they're being used. It's only -- it would
42 be the best practice, which is what we do, that if
43 new information comes to us or there's revisions
44 that we need to make to the forecast, we will --
45 we can do it all the way up to when it's being
46 used. So changes could be made to the forecast.
47 The paper itself wouldn't change because it's a

1 published document with a number associated with
2 it and it's published on the CSAS website, so that
3 would never change, but there could be changes to
4 the forecast itself. It's possible that you could
5 make changes and there would be processes if the
6 forecast changed.

7 I know we made a revision to the Early Stuart
8 forecast in 2009, I believe, and that revision
9 came in light of new revisions to our escapement
10 time series for the Brood Year, so the parental
11 generation. There was revision to the numbers
12 from the data that we were using and it had a big
13 effect on the forecast. So we didn't -- oh, at
14 the time, actually, the forecast paper hadn't been
15 put online, so we were able to make it within the
16 document. But if the document had been published
17 and that change occurred, we would still put that
18 change through public channels and through
19 processes, so the Fraser Panel, for example, that
20 deals with in-season management of Fraser sockeye
21 would get an update as soon as we had that
22 information available to update them on changes
23 we'd made to the forecast. So it's best practice
24 to -- if there is a chance, we wouldn't sit on it
25 and not inform the people who need to know to make
26 management decisions.

27 Q Okay. This is a question I've asked a couple of
28 other witnesses who have been here. There are
29 uncertainties, as you've described, with pre-
30 season forecasts and then there's differences
31 between the pre-season forecasts and what's
32 observed in season. So given those uncertainties
33 and the differences that are observed when the
34 runs return, are these forecasts valuable? Are
35 they worth generating?

36 A Well, when you say differences, we should clarify
37 that there are -- in most years the returns fall
38 within the forecast distribution. So they're not
39 different. They're just falling within the
40 forecast distribution at a different probability
41 level.

42 Q Okay.

43 A And your question was...?

44 Q Was are they a useful thing to do? Are they
45 providing useful information or do they just
46 create confusion and is it --

47 A Mm-hmm.

1 Q -- 'cause we certainly hear a lot of people
2 stating that the forecasts are unreliable, that
3 they're inaccurate and is that a problem with the
4 communication or is that a problem with the
5 forecasting information you're providing?

6 A I would say it's a problem with communication.
7 Even the terminology "inaccurate" is inaccurate.
8 You wouldn't say the forecast is inaccurate. You
9 would -- the return is just falling within the
10 probability distribution lower or higher than the
11 50 percent probability level. But people are
12 often fixated, especially -- because it is
13 complicated. I can't remember all these numbers
14 in this table, so it's much easier to remember
15 10.6 million than the complexity of this table.
16 So the -- I know where I'm going. I just have
17 to...

18 So -- so, yeah, it becomes a problem with
19 communication. There's a lot of wording that's
20 used to describe the forecasts, especially in
21 light of 2009 where people are fixating on the
22 10.6 million number. And it's really over-
23 simplifying the forecast as it's presented in
24 terms of the probability distribution, the
25 uncertainty we have associated with the forecast
26 and the fact that DFO never expects the 50 percent
27 probability level to be what will return. That's
28 a mid-point in the probability distribution and we
29 actually have a one-in-two chance that the run
30 will come in above or below that actual value. So
31 that value isn't a deterministic DFO expects 10.6
32 to come back. We actually expected a range from
33 3.6 to 36.6 or whatever the range was, roughly in
34 that range, to come back, and that's our
35 probability distribution.

36 And we also say we expect -- the forecasts
37 are used to say well, we expect a return to come
38 back, say, at the 25 percent probability level, so
39 for -- I'm not sure if we're -- if we just move
40 back on the -- to the previous page for Table 1.
41 Thank you.

42 The 10 percent probability level, say, for --
43 or the 25 percent probability level for Early
44 Stuart, say, is -- there's a one-in-four chance
45 that we would expect that the return would come
46 back at 26,000 or less, given the environmental
47 conditions that this particular table is

1 associated with. So given recent productivity, we
2 would expect that 26,000 fish would come back or
3 less, given recent productivity. So there's a lot
4 of statements you're making when you're talking
5 about the forecasts. We're not saying DFO expects
6 11.4 million to come back. We're saying for Early
7 Stuart, there's a range of probabilities based on
8 our range of experiences we've seen in the recent
9 productivity; that under the assumption of recent
10 productivity we expect a one-in-four chance that
11 it'll come back at 26,000 or less, a three-in-four
12 chance that it'll come back at 66,000 or less.

13 So with the forecasts, it's -- those kind of
14 words -- we're getting back to communication.
15 It's been highly over-simplified in how it's been
16 communicated broadly to the Canadian public and
17 how it's been picked up as a point estimate. And
18 it's also being -- 'cause it's a complex issue.
19 It's very -- like I said, memorizing this table
20 would not be -- it might be humanly possible for
21 some people but most people not, so you tend to
22 simplify and say we expect 10.6. But this table
23 is just describing our -- we're always using the
24 past to predict the future and this assumption in
25 Table 1 is given recent productivity, this is the
26 range of returns we would expect to see if this
27 productivity persisted into the future.

28 So I'm -- that's the first part of your
29 question is just explaining the communication
30 disconnect in how the tables are actually quite
31 complex, they are explaining the uncertainty given
32 your assumptions so in previous years for 2009 we
33 just had the long-term average table. That was
34 the only table we were using. And in that for a
35 particular model we would be saying we would
36 expect a one-in-two chance that the run would come
37 back at 10.6 million. Given the environmental
38 conditions we've seen on the historical time
39 period.

40 If environmental conditions go off what we've
41 seen in that historical time period, then of
42 course the forecast -- the return is actually
43 going to come outside of the range of
44 probabilities that we assign because we've never
45 seen it before. So the past is used to predict
46 the future and we're trying to communicate what
47 the past is informing us in terms of the

1 uncertainty with the forecasts and the nuances
2 between the different stocks.

3 So there has been a real over-simplification
4 of the forecasts that have -- and misuse of terms
5 like "inaccurate" or "completely wrong" or those
6 kind of terms. The forecast is actually quite
7 informative to tell you that right away it's what
8 we're seeing in 2009 is actually completely
9 different from what we've ever seen historically.
10 It is amongst the lowest productivity or is the
11 lowest productivity on record for a lot of stocks.
12 So when something is outside of your historical
13 range of understanding, you're not going to pick
14 it up in these types of models because they're
15 forecasting the future based on what we've seen
16 historically. So that's the communications part
17 of your question.

18 But the other part of your question is are
19 these useful and I think that they are useful from
20 multiple perspectives. I already described why
21 they're useful from the perspective of placing
22 returns in the context of the forecast and I think
23 in the case of 2009 it was a very useful tool and
24 unfortunately, the message that got out was a
25 little backwards. You know, it was all this --
26 people being upset that the forecasts were wrong
27 and in fact, what the message is is that based on
28 our historical understanding of Fraser sockeye
29 population dynamics, 2009 was very strange. We'd
30 never seen it before.

31 So the real message, unfortunately, got
32 missed a little bit with how it was being
33 communicated and it should have been wow,
34 something really exceptional happened in 2009
35 because it's falling at the extreme end of our
36 probability distribution. So there was something
37 like a one-in-one-hundredth chance that we would
38 have seen that total return, given our range of
39 understanding of Fraser sockeye stocks. So that's
40 the communication issue and the usefulness of the
41 forecast is to do that to place the returns that
42 we see in the context of what we've historically
43 seen.

44 So 2009, we saw 1.3 million. We could place
45 it on that range where we said 3.6 -- the range,
46 using current probability levels, we'd say the ten
47 percent probability level we expected 3.6, all the

1 way up to the 90 percent probability level where
2 we expected something like 37.6 and, in fact, the
3 run came in below the ten percent probability
4 level at 1.3 so right away, we're getting a signal
5 that what we're seeing is outside of our
6 historical range of understanding.

7 And then when we started post-season looking
8 at productivity data, you start recognizing that
9 for a lot of stocks, the productivity was amongst
10 the lowest on record for the time series or was
11 the lowest for most stocks, not Harrison.
12 Harrison was for 2009 returned at reasonable
13 abundance, a good abundance. But that's again the
14 nuances of the data and not all stocks'
15 productivity was the lowest on record. So there's
16 a lot of variation in the data.

17 So the forecasts are useful from that
18 perspective, placing the returns in the
19 perspective of what have we seen historically.
20 They're also useful -- they're the best we have as
21 a tool for pre-season and early in-season
22 management. These models are through the
23 retrospective analysis process are the best-
24 performing models that we have currently available
25 to forecast Fraser sockeye returns and they do
26 characterize the uncertainty, as well as --
27 characterize the uncertainty of what we might be
28 -- expect to see given assumptions. So in
29 previous years' forecasts, we only had the long-
30 term average productivity tables, so our
31 assumptions were always this is the probability
32 distribution we expect to see given productivities
33 are similar to long-term average. If they're
34 outside of that, then they're going to be outside
35 of what we've seen historically.

36 So for pre-season planning, early in-season,
37 for run -- early in-season run size models, I know
38 they use the pre-season forecasts as a tool to
39 help as a starting point for what we're seeing --
40 what we expect to see. As in-season data becomes
41 more and more available, these pre-season
42 forecasts start dropping off in terms of their
43 usefulness as inputs into the model, but they're
44 still useful from a qualitative perspective to
45 place you on the map as to where you are.

46 And as I'd mentioned, they are amongst the
47 best models globally, especially this past year.

1 We were using models like the Kalman filter Ricker
2 model which are -- very few people globally would
3 use that model. It's very current and up to speed
4 on very recent methodology that Dr. Peterman was
5 developing in regards to picking up recent
6 productivity trends, so in our recent productivity
7 table we try to stay sort of ahead with new models
8 and new methods, so -- and then we do the
9 retrospective analysis to pick the best models, so
10 they are our best starting point. They're better
11 than just pulling a number out of the air or
12 making a rough guess as to what you think might be
13 coming next year.

14 So those are the two benefits. And there's
15 one more, just from a purely scientific -- from a
16 scientific biological perspective, biologists and
17 scientists are always playing around with models
18 in the perspective of forecasting and
19 understanding how it describes the current state
20 of understanding about population dynamics for an
21 organism. So for Fraser sockeye we have a bunch
22 of models and these all in different ways describe
23 our understanding of population dynamics for that
24 model and every year we're re-evaluating our
25 assumptions about how well we understand this
26 animal and evolving and trying out new modelling
27 techniques and it's not just within this world
28 that's input into management, but scientists are
29 developing models.

30 So you'll see in state-of-the-ocean reports
31 published by DFO but that include scientists
32 throughout the world -- I'd say largely U.S.,
33 Canada, who are publishing different forecasts for
34 different salmonids or different stocks and
35 they're all playing around with different
36 hypotheses for what is influencing Fraser sockeye
37 survival. So models, in a way, are exploring
38 hypotheses for Fraser sockeye survival. So
39 biologically, scientifically, they're a useful
40 tool for describing our current state of
41 understanding of survival, exploring and adapting
42 and evolving.

43 So those are the three key reasons why
44 forecasts are important.

45 Q Thank you. And then just one area I wanted to
46 cover briefly with you. Dr. Beamish of DFO Science
47 has done work recently in the marine environment

1 in the Strait of Georgia, looking at juveniles in
2 the Strait of Georgia. Had you or have you
3 considered whether his work or other similar
4 marine studies could be used in forecasting?

5 A Yes. We quantitatively have used a variety of
6 variables in the models which I described earlier,
7 so in the biological models we can use a variety
8 of environmental variables and this is going to
9 segue into your question, but the -- it sets the
10 stage for it. Quantitatively, we tried sea
11 surface temperature, we've tried Fraser discharge,
12 different individual variables, and they generally
13 haven't improved the forecast. They do little
14 tweaks to the forecast but they don't give us the
15 answer. They aren't the solution to explain all
16 the variability in the stock recruitment
17 relationship, so that we perfectly can predict
18 Fraser sockeye using sea surface temperature. In
19 fact, they only tweak it minorly and it only
20 tweaks it for some stocks in some years. But we
21 haven't found a single environmental variable.

22 And likely the reason for that is that Fraser
23 sockeye have such a complex life history that they
24 -- from their individual rearing lake, where
25 they're in the gravel, there can be environmental
26 conditions in the gravel, flood events that scour
27 the eggs, all the way downstream during their
28 downstream migration there can be mortality,
29 especially as they're transitioning into the
30 ocean, there can be mortality. They hit the
31 Strait of Georgia, there can be mortality. They
32 migrate fast along the continental shelf and out
33 into the North Pacific and then they're mingling
34 around there for another year before they return.
35 So it's this huge massive special temporal scale
36 on which we're trying to understand what is
37 driving survival.

38 So in our models when we're quantitatively
39 trying to put in environmental variables like sea
40 surface temperature, it's only one spot and it's
41 in their whole life history that covers freshwater
42 all the way to marine and it's asking a lot of a
43 sea surface temperature variable that does try to
44 -- sea surface temperature isn't just the
45 temperature alone, but it's often influencing
46 different zooplankton compositions, different food
47 quality for the fish or just the temperature

1 itself, so it is trying to integrate a number of
2 variables into a single one. But at the same
3 time, it probably is over-simplifying or not quite
4 capturing the problem, because it's in time and
5 space. You could measure sea surface temperature,
6 but maybe you're not measuring it in the right
7 spot at the right time, or maybe it's synthesized
8 over a broad space, so that it's so complex to
9 just take individual variables and look at it
10 quantitatively. So that's why there's been a lot
11 of challenges trying to find the one variable or a
12 couple of variables or a composite of variables
13 that work quantitatively. So it's a big question
14 with Fraser sockeye.

15 Other forecasts, other -- other salmonids
16 that have been forecast have better success with
17 incorporating environmental variables so, for
18 example, on the West Coast of Vancouver Island
19 there will be Coho stocks that migrate out and
20 they stay local on the coast of Vancouver Island,
21 so unlike Fraser sockeye, these animals are in the
22 freshwater, so there's that element of uncertainty
23 in their survival, but then they're hitting the
24 ocean and staying very local. So you can do very
25 strategic sampling in time and space because you
26 know where they are. You can even sample the
27 animal because they're right off the coast and you
28 know they're going to stay there for their whole
29 marine distribution.

30 And I know that there are certain individuals
31 like Dr. Ron Tanasichuk has been doing some
32 forecasting quite successfully because he's
33 working on stocks that you have a better handle on
34 where they are. Their ocean distribution is a lot
35 more localized versus Fraser sockeye that are
36 hitting the Strait of Georgia and very rapidly,
37 except for Harrison, that's unique again, but all
38 the other stocks are hitting the Strait of Georgia
39 and generally from research data from Dick Beamish
40 and Marc Trudel, who do the high sea salmon and
41 Marc Trudel does -- Dr. Marc Trudel does high sea
42 salmon and Dr. Dick Beamish does the Strait of
43 Georgia. They've been finding they migrate
44 rapidly through the Strait of Georgia. They
45 migrate along the continental shelf out through
46 the Aleutians and then they're hanging out in the
47 North Pacific. So there's -- through time and

1 space, they're covering a big geographic area, so
2 I'm just pointing out the complexity of their life
3 history and why those individual variables haven't
4 worked very well.

5 So in segueing into 2009 and recognizing that
6 individual variables aren't working well, we did
7 look at a report card and we could refer to that
8 now if you wanted to. It's -- it's a qualitative
9 way of describing a range of indicators for Fraser
10 sockeye. So rather than just looking at sea
11 surface temperature in Entrance Island off the
12 coast of Nanaimo, we've integrated a bunch of
13 these different variables in a report card, which
14 is commonly used, it's being used by the U.S.
15 Government, as well, doing report cards on
16 environmental variables that you think will
17 influence sockeye or the animal that you're
18 studying's survival.

19 So we qualitatively looked at that. I can
20 explain it in the 2009 report on page 16.

21 Q This is in the SAR?

22 A That's in the SAR.

23 Q So that's Exhibit 340.

24 THE COMMISSIONER: Ms. Baker, I note the time. I'm not
25 sure when you had planned to break for lunch.

26 MS. BAKER: Well, this was my very last question, so if
27 she could finish this answer, then I'll be
28 finished, if that's possible. It's up --
29 obviously, we'll break if you want to break,
30 but...

31 THE COMMISSIONER: Okay.

32 MS. BAKER: Continue?

33 THE COMMISSIONER: I don't know how long her answer's
34 going to be, but that's fine.

35 MS. BAKER: Pardon? Okay. If you get really hungry,
36 just...

37 Q I mean, I did want to focus on the work that Dr.
38 Beamish is doing in the Strait of Georgia and
39 whether that's been incorporated in.

40 A Okay. The answer I'm giving will be --

41 Q Okay.

42 A -- it would be good to --

43 Q Okay. So that you were looking --

44 A I'm giving you a bigger answer than what you've
45 asked, if you're really focused on -- but you did
46 frame your question as in Dick Beamish and others,
47 so...

53
Sue Grant
In chief by Ms. Baker

1 Q Yes. Okay.
2 THE COMMISSIONER: Ms. Baker, I think we -- I think we
3 will take a lunch break now.
4 MS. BAKER: Okay.
5 A Okay.
6 THE REGISTRAR: Hearing is now adjourned until 2:00
7 p.m.

8
9 (PROCEEDINGS ADJOURNED FOR NOON RECESS)
10 (PROCEEDINGS RECONVENED)

11
12 EXAMINATION IN CHIEF BY MS. BAKER, continuing:

13
14 MS. BAKER: Can you turn your mike on, Ms. Grant?
15 Thanks.

16 Q So you were in the middle of answering a question
17 about marine areas. I'd asked about Dr. Beamish's
18 work and you were giving some background on marine
19 impacts.

20 A So I had finished up the last pre-lunch session by
21 describing why, quantitatively, the variables we'd
22 been using haven't been effective to date due to
23 the complexity of the marine survival issues for
24 Fraser sockeye and how complex their migration is
25 from the fresh water to the marine environment,
26 and why, for some salmonids who remain more close
27 off -- off the coast of -- west coast of Vancouver
28 Island, for example, and remain local using single
29 environmental variables. Those are a lot easier
30 because you know where they are, they remain in a
31 fixed area, and they don't have as broad
32 migration. So that was from the quantitative
33 perspective why perhaps these single invariables
34 that we've been trying to use quantitatively
35 haven't been helping us too much in regards to
36 improving the forecast.

37 So in light of that, starting in 2009 -- and
38 we'd been thinking about this for a while,
39 particularly through engagement with scientists in
40 the U.S. and other scientists working on salmonids
41 that use the Pacific Ocean as a rearing ground for
42 juvenile -- their juvenile stages. We'd been
43 looking at this kind of red light/green light
44 report card for qualitatively looking at
45 environmental indicators for Fraser sockeye
46 similar to what they do in the U.S. for some
47 Chinook and Coho stocks in the U.S. that migrate

January 26, 2011

1 out of the Columbia. They have some good red
2 light/green light indicators for their stocks that
3 have been somewhat effective in their forecasting
4 approach.

5 So we were deciding that if these single
6 variable quantitative variables weren't going to
7 work, we were going to go in this more qualitative
8 realm. This will lead into your specific
9 questions.

10 This is a table, Table 5, in the 2009 Science
11 Advisory Report of the report card that we
12 produced for some key environmental indices, or
13 that we thought would influence Fraser sockeye,
14 particularly in the marine environment. Every
15 year DFO has annual State of the Ocean meetings
16 and they produce research documents out of that.
17 I believe it's a research document, not a Science
18 Advisory Report, although I could be wrong.

19 But it's a pretty thick document where they
20 invite scientists and people -- and biologists and
21 oceanographers working on environmental indicators
22 in the ocean environment to these meetings every
23 year, and this includes scientists from both
24 within the Department and outside of the
25 Department. It's a very good document for
26 summarizing ocean conditions within the Strait of
27 Georgia and North Pacific, conditions that are --
28 animals will be experiencing, whether it's Fraser
29 sockeye or Chinook Coho stocks from the west coast
30 of Vancouver Island.

31 So this table is our attempt at synthesizing
32 and integrating some of the key indicators that we
33 think would influence Fraser sockeye in a broader
34 perspective than a single environmental variable,
35 and we were using this in addition to comparing
36 performance with single quantitative variables to
37 help describe the state of the ocean in a
38 particular ocean entry year.

39 So this table is organized with on the top
40 line there's "Ocean Entry Year" is highlighted, so
41 that's the year -- generally it's thought -- the
42 main hypothesis in regards to marine survival is
43 that it's early ocean survival that influences the
44 marine survival component of Fraser -- or of
45 animals when they enter the ocean. It's that
46 early first part of their life history that's most
47 important for influencing total mortality in the

1 marine environment, so we're focusing in on the
2 ocean entry year which is two years after their
3 brood year.

4 So two years after the parents spawn, the
5 eggs are deposited in the gravel, they come out of
6 the gravel, spend a year in fresh water and then
7 migrate to the ocean. These would be the
8 conditions experienced by fish stocks.

9 We did a lot of -- we've done a lot of work
10 over the years working -- liaising with the State
11 of the Ocean group that pulls together all these
12 environmental indicators from Canada and the U.S.,
13 scientists that pull these ocean indicators
14 together to help explain some of the Fraser
15 sockeye forecasts. Within that, you'll have
16 different scientists' own forecasts. When I've
17 described earlier the usefulness of our particular
18 forecasts, those, in conjunction with other
19 scientists' forecasts all are different hypotheses
20 or different ways of exploring what factors are
21 controlling Fraser -- or influencing Fraser
22 sockeye survival. In the State of the Ocean, it's
23 -- the factor is particularly focused on the
24 marine environment.

25 THE COMMISSIONER: Perhaps you can help me with this.
26 On Table 5, it says [as read]:

27
28 For 2009 returns, most sockeye, age four,
29 spawned in 2005.

30
31 So you're talking about all of the stocks, the 19
32 stocks?

33 A That's right. It's the summary for most sockeye.

34 THE COMMISSIONER: Okay.

35 A And given the larger age four -- since most
36 sockeye are four-year-olds. In 2009, most of the
37 sockeye would have come from spawners in 2005.

38 THE COMMISSIONER: But you're talking about all the 19
39 stocks?

40 A That's right. In general.

41 THE COMMISSIONER: In general, okay. And it says:

42
43 And migrated to the ocean in 2007.

44
45 You're talking about all of the sockeye stocks,
46 the 19 stocks, in general?

47 A In general, yes.

56
Sue Grant
In chief by Ms. Baker

1 THE COMMISSIONER: So what I'm trying to understand is
2 that these indices or conditions that you're
3 talking about, you're assuming that they would
4 have impacted all of the stocks in the same way
5 because the results -- you explained this morning
6 just before the noon break, that there are
7 different results for the different stocks --
8 A Mm-hmm.
9 THE COMMISSIONER: -- in terms of the return of four-
10 year-old sockeye.
11 A Mm-hmm.
12 THE COMMISSIONER: But you're assuming here that all of
13 these conditions would impact in the very same
14 way?
15 A Yes. I think this is just a tool to holistically
16 describe if there's something extreme going on or
17 if we're in a transitional period, it's more of a
18 broader indicator, understanding that there'll be
19 nuances within the stocks. There'd be no way to
20 tease apart an individual report card necessarily
21 for all the individual stocks, and again, this is
22 just focused on the marine environment. So each
23 stock will have unique environmental conditions in
24 the freshwater environment as well. So the fresh
25 water will also be driving --
26 THE COMMISSIONER: So they -- I hope I get this right.
27 So in 2007 when they migrate to the ocean, the
28 stocks that came from the 2009 brood --
29 A Mm-hmm.
30 THE COMMISSIONER: -- are out there with the stocks
31 that are going to be coming back in 2010; is that
32 correct? There'll be three years as opposed to
33 the four years from 2009?
34 A Yes. They would -- there would be mingling
35 amongst the different years.
36 THE COMMISSIONER: Okay. So the conditions that you're
37 considering would be impacting -- I'm just asking
38 -- the 2009 --
39 A Mm-hmm.
40 THE COMMISSIONER: -- as well as the 2010 returns.
41 A That's correct, yes.
42 THE COMMISSIONER: Okay.
43 A So for the case of the last -- the one that you
44 were referring to, 2007, that led to 2009 returns.
45 This table I'm - as you reiterated - really saying
46 that, for most sockeye -- most sockeye are four-
47 year-olds, most of them who returned in 2009 hit

January 26, 2011

1 the ocean in 2010. But you're correct that in
2 2010, some of the five-year-olds from this same
3 ocean entry period from 2007 would have
4 experienced the same environmental conditions.

5 That links back to your earlier questions
6 about age-proportions. When I was describing how
7 five-year-olds -- I applied a similar mortality
8 productivity rate to the five-year-olds in 2010 as
9 those experienced by four-year-olds in 2009. It's
10 for that exact reason that you just asked your
11 question in that they all experienced the same
12 ocean conditions. They entered the ocean the same
13 time, the five-year-olds who returned in 2010
14 would have also hit the ocean in 2007, similar to
15 the four-year-olds that returned in 2009.

16 THE COMMISSIONER: Right.

17 A So they're out there at the same time.

18 THE COMMISSIONER: So if there was an extreme
19 condition, marine condition that would have
20 impacted the 2007 sockeye, is it not fair to
21 assume that that would have impacted the 2010 run
22 as well?

23 A It would impact the five-year-old component. So
24 for -- and that's -- we did take that into
25 consideration.

26 THE COMMISSIONER: Okay.

27 A So, yes, you're absolutely right that what
28 happened in 2007, independent of this graph even,
29 'cause this graph is not explaining what actually
30 happened in 2007 because we saw really poor
31 productivity, but that poor productivity
32 experienced by the four-year-olds that returned in
33 2009 is the same environmental conditions in the
34 marine environment that the five-year-olds in 2010
35 would have encountered.

36 THE COMMISSIONER: Okay.

37 A They comprise a much smaller component of the
38 total, but they still would have been an influence
39 which is why we took that into consideration.

40 So with this table, we were trying to
41 qualitatively describe some of the key
42 environmental variables that include some of the
43 larger ocean indices. Some of you might have
44 heard of things like the PDO, which is the Pacific
45 Decadal Oscillation, which is broad indices for
46 the North Pacific, basically describing sea
47 surface temperature anomalies in the North

1 Pacific. If it's warmer -- if it's a warmer PDO,
2 it's generally assumed that it's poorer conditions
3 for salmon and Fraser sockeye.

4 Then there's a bunch of physical conditions
5 that are more specific localized sea surface
6 temperature, upwelling kind of indices, as well as
7 biological conditions such as the prey
8 availability.

9 This State of the Ocean Report really
10 outlines this from Dr. David Mackas's work from
11 the Institute of Ocean Sciences where he's looked
12 at the west coast of Vancouver Island and looked
13 at the shifting composition of zooplankton, and
14 how, during warmer years, the warmer water
15 copepods move up from the southern climates into
16 our waters. These copepods tend to be larger and
17 energetically less good than the colder water
18 species that are typically here.

19 It's like eating -- when the warm water years
20 hit and these warm water copepods come up, it's
21 like eating a hamburger and French fries and coke,
22 versus eating, in normal cold years, a salad with
23 a well-balanced meal. So the fish in the warm
24 years are getting this poorer food quality. David
25 Mackas has been tracking this on the west coast of
26 Vancouver Island so we included that as well.

27 There isn't as much copepod information in
28 the Strait of Georgia. I know that they're
29 working on compiling -- piece together a time
30 series from a bunch of different sources, but for
31 the purpose of this, all we had was the west coast
32 of Vancouver Island.

33 So we colour-coded again similar to the
34 forecast table where we were trying to rank these
35 in terms of whether these environmental conditions
36 were average, below average or above average, so
37 green, good, good for salmon survival; red, poor;
38 and yellow is kind of average for salmon survival.

39 I guess what I want to point out about this
40 graph is that there's a lot of variability in
41 terms of survival and how it actually links up,
42 even with these broad different indices and how
43 that top line is Chilko marine survival, just as
44 an indices of overall marine survival for Fraser
45 sockeye. That was the one indicator stock I
46 mentioned earlier.

47 In 2005, all the indicators - and if you read

1 the State of the Ocean Report the DFO publishes
2 compiled from all these scientists - ocean
3 conditions were generally poor for survival
4 conditions and 2007 was actually a poor year for
5 marine survival for Chilko as well as for
6 productivity amongst stocks. So we kind of
7 thought we were onto a somewhat right track
8 because indicators were lining up somewhat telling
9 us things were bad in 2005, and they really were
10 bad.

11 In 2006, we started seeing a transition.
12 When we went to the State of the Ocean meeting, we
13 got all this information that ocean conditions
14 were improving, we're seeing more transitional.
15 However, we were still recommending more
16 conservative probability levels on the forecast
17 given it being transitional. It's unclear which
18 indices are driving it, but we were transitioning.
19 We did also see, in 2006, an improvement in Chilko
20 marine survival, so we were seeing this turn-
21 around in 2006 of improving marine survival
22 conditions.

23 Then we went to the 2007 State of the Ocean,
24 and from most indicators now, it was like
25 intermediate in terms of some of the conditions,
26 or really good. Of course, there's always, like,
27 exceptions where certain things retrospectively
28 you can look back and go, oh, that was saying
29 things weren't great. But when you look at it
30 holistically, the general message from that
31 meeting was things were looking pretty good in
32 2007.

33 So we were thinking, going into the 2009
34 return year, that things were good. There are --
35 so a lot of this is extracted from the State of
36 the Ocean Report. There's other individuals -- as
37 I'd mentioned earlier the value of forecasting is
38 playing around with -- exploring different
39 hypotheses for what is driving survival for Fraser
40 sockeye. We do that within our own forecasting
41 process. It's part of that exploration.

42 But Dick Beamish, Dr. Beamish, as well as
43 Skip McKennall, Dr. Jim Irvine, all these other
44 scientists are also exploring different hypotheses
45 for survival. At the time of the 2008/9
46 forecasts, I know Dr. Beamish's work was in very
47 preliminary stages. He was focused on September

1 catch-per-unit effort when you look at the State
2 of the Ocean Report, and he recognized in later
3 State of the Ocean Reports that those were --
4 September CPUE after he did some DNA analysis,
5 realized that all those fish that he was sampling
6 in September were Harrison sockeye, which Harrison
7 have so many unique things about them. They're
8 doing very unique things in terms of their life
9 history in terms of their survival. They're
10 improving in survival whereas all the other stocks
11 are going down.

12 So at the time of the 2009 forecast, I know
13 certain hypotheses are -- certain pieces of
14 hypothesis development were in the preliminary
15 stages, so for certain scientists, such as Dick
16 Beamish, his stuff was very early. It wasn't
17 until later on that he started getting the DNA
18 back and realizing that he wasn't even using the
19 right time period from his surveys. He was --
20 September CPUE to try to forecast total sockeye.
21 So he made a statement in the State of the Ocean
22 Report from the 2007 -- '06 or '07 State of the
23 Ocean Report about conditions and what they
24 expected, but it was a work in progress and it's
25 being developed.

26 So we did explore his work amongst all the
27 other environmental variables that were being
28 considered, but recognized that it was a work in
29 progress. It hadn't actually produced the right
30 forecast for 2008, so it wasn't a hypothesis that
31 we were going to move forward on and place a great
32 weight of evidence on in moving into 2009, when
33 the bulk of the evidence suggested that indicators
34 were good. All these scientists are working and
35 developing their hypotheses further and it's a
36 work in progress. But we definitely every year
37 explore environmental indicators quite
38 extensively.

39 MS. BAKER: Thank you. I have no other questions for
40 Mr. Grant, but I know that Canada has some
41 questions. Should we move to Canada or did you
42 want to follow-up on anything with the witness
43 before we do that?

44 THE COMMISSIONER: No, that's fine. Thank you, Ms.
45 Baker.

46 MR. TAYLOR: Mitchell Taylor, Mr. Commissioner. In my
47 questions, for Mr. Lunn's benefit, I expect to

1 refer only to Exhibit 340 which is the 2009
2 forecast, and Exhibit PPR-5 which is the Harvest
3 Management Practice and Policy paper.
4

5 CROSS-EXAMINATION BY MR. TAYLOR:
6

7 Q Ms. Grant, in answering the question that the
8 Commissioner posed to you about mid-morning today,
9 you referred to -- I think I heard you say 95
10 percent of the returns in a given year would be
11 the four-year-olds, and I think I heard you say at
12 another point, 85 percent, and then at one point
13 you referred to 20 percent five-year-olds in a
14 given year. Can you just explain or elaborate on
15 is there a number, is there a range, or which of
16 those numbers would be the four versus five ratio
17 on average?

18 A Yes. For clarification, there is a range, so I
19 don't have the exact range in front of me, but it
20 would be pretty small, and it probably would range
21 from 80 to 95 percent or 99 percent even, so the
22 key message I was trying to get across was more
23 they make up -- the four-year-old component makes
24 up a significant component of the run. I was not
25 recollecting the same every time I mentioned it,
26 but it was -- what I was trying to get across was
27 that it was -- it makes up a range from probably
28 what I just described.

29 Q All right.

30 A A pretty large component with exceptions -- for
31 example, Pitt -- Pitt sockeye is one exception
32 where the five-year-olds make up much larger
33 component than that. But I was trying to describe
34 just a general range and wasn't being consistent.

35 Q All right. Thank you. And the large percentage
36 you're referring to is the four years (sic), I
37 take it?

38 A That's correct.

39 Q In that same area of your evidence, or picking up
40 on that, will DFO know with regard to the 2010
41 returns what percentage or roughly what percentage
42 were five-year-olds or the ratio between four and
43 five?

44 A DFO does have preliminary return results for
45 Fraser sockeye by stock. I can't speak to
46 specifics. I wouldn't recollect it all perfectly,
47 but there were no surprises in the returns in

1 terms of age composition, so we didn't see, in the
2 2010 returns any anomalies in regards to having a
3 greater than normal age five proportion in the
4 return distribution.

5 Q You also mentioned in that same area of your
6 evidence pink years. Just for clarity, can you
7 explain what years are pink return years and what
8 years are pink out-migration years?

9 A Pink return years are odd years for the Fraser
10 system.

11 Q And outgoing?

12 A And it would be even years for outgoing, so they
13 would spawn and the fry would emerge from the
14 gravel and they would migrate to the ocean in even
15 years.

16 Q Thank you. Now, is there something you can point
17 to, to link or tie the 19 stocks that are
18 forecasted as against the conservation units that
19 exist for Fraser sockeye?

20 A Yes. In the 2009 report --

21 Q The Forecast Report?

22 A The Forecast Report, I believe.

23 Q Which is Exhibit 340.

24 A Table 1 and 2 in that report.

25 Q On page 6 and 7. And if you could just explain
26 what this is telling you or how you see a relation
27 or what is the tie?

28 A Okay. Holtby and Ciruna in 2007 published a
29 first-cut at the conservation units for all
30 Pacific Region salmonid stocks that -- and in this
31 table, in the forecast table, in light of the Wild
32 Salmon Policy and moving forward into the future,
33 we wanted to align the stocks that we forecast, so
34 the 19 forecasted stocks including the
35 miscellaneous stocks that we forecast, and link
36 them to the CUs from the Holtby and Ciruna paper.

37 So what we did in the second column of Table
38 1 is list, next to every stock, the numbers that
39 are associated with the conservation units that
40 are listed on Table 2. So we'll use Bowron for an
41 example, the first stock in Early Summer. Bowron
42 has, in the CU list in Table 1, the number 3. And
43 then when you go to Table 2, that Bowron stock is
44 associated with the Bowron Early Summer
45 conservation unit. So we're just lining up what
46 stocks go with what conservation units. In some
47 cases you can see, like for the example of Bowron,

1 that the stock lines up exactly with the
2 conservation unit. So they're the same thing.
3 They're looking at the same thing.

4 Other ones such as Fennell and Raft are North
5 Thompson stocks, and Fennell and Raft together add
6 up to the Kamloops Early Summer conservation unit,
7 so that's an example of where two different stocks
8 in our forecast table are equivalent to one CU, so
9 it's a little different.

10 Then there's other CUs such as -- I'll just
11 pick another one, like Chilko, for example, in the
12 Summer run, so the first stock in the Summer run
13 timing group. On Table 1, they include CUs 13 and
14 14. So they're an example of a CU that -- a stock
15 in the forecast table that's associated with two
16 CUs, so they include Chilko Early Summer and
17 Chilko Summer as a conservation unit.

18 So just to summarize, there are some cases
19 where there's perfect correlation between the
20 stock and the conservation unit. Other cases
21 where two stocks amount to one CU, and other cases
22 where two CUs equal one stock.

23 Q All right. Is that sort of information or tie in
24 the 2010 forecast?

25 A We don't include it in the 2010 forecast. We are
26 -- there is a work in progress, a paper that's
27 being published, and we're in the process of
28 working through conservation units and so we
29 haven't included an update in the 2010 forecast.

30 Q Do you know if it'll be in the 2011?

31 A The 2011 forecast, that's what I meant.

32 Q It's not in it?

33 A No.

34 Q All right. Now, I'd like to ask you a couple of
35 questions about a document that's referred to as a
36 Policy Practice Report. It's Policy and Practice
37 Report number 5. That's coming up on the screen,
38 and if we go to page 81 of that document, and
39 specifically paragraph 212. I have a question for
40 you.

41 You'll see under "a.", it says -- well, I'll
42 read all of it, but:

43
44 Key to pre-season planning are:

- 45
46 a. Pre-season forecast for each run timing
47 aggregate.

1 Do you have anything that you want to say about
2 that statement?
3 A Sorry, Mitch, can you repeat what -- are you
4 onto --
5 Q Number "a." there.
6 A Oh, "a.", yes, okay.
7 Q Is that accurate --
8 A Yes.
9 Q -- or is there anything that you'd like to say?
10 A The only clarification we would -- or I would ask
11 is that for pre-season planning, it would be
12 clarification on whether these -- I would assume
13 that pre-season forecasts would include our
14 abundance forecasts that I'm involved with as well
15 as the diversion and run-timing forecasts that
16 were the responsibility of another DFO employee,
17 but those three kinds of forecasts would be
18 included. So it might be just requiring
19 clarification on whether that wording encompasses
20 the three different kinds of pre-season forecasts.
21 Q So that would be diversion, run-timing and
22 abundance?
23 A Yes.
24 Q Then if you go to a couple of pages over to
25 paragraph 225, and I'll give you a moment to read
26 it if you like, but if you could have a look at
27 that and tell the Commissioner whether you have
28 anything to say about what's stated in that
29 paragraph.
30 A Yes. This paragraph would -- if reworded, would
31 capture the changes in methodology more
32 appropriately. As written, it's a little unclear
33 that the changes made to the methodology don't
34 apply to all three productivity scenarios. So I
35 would recommend a change that would involve saying
36 something like for the 2010 forecast, it included
37 three -- so you would pull out the presentation of
38 the forecast as three different productivity-based
39 results and three different tables. We'd probably
40 change the wording of that to the presentation of
41 three different forecast tables using three
42 different assumptions of sockeye productivity, and
43 not turn that into a number 2, but switch it into
44 -- significant changes include that statement, as
45 I'd worded it, and then a period, and the -- the
46 long-term average productivity table, the first
47 case, was identical to methodology we've used in

1 the past.

2 Changes were made to the methodology
3 specifically for the long -- recent productivity
4 case 2, and productivity like the 2005 brood year,
5 case 3. So those were the only two cases where
6 methodological changes were made. So it's --

7 Q So it's all as you described earlier this morning.

8 A It is. So it's just a little more complicated
9 than it is -- or not complicated, but it just
10 needs to be switched around so that it -- this
11 sounds like changes were made to every forecast
12 scenario.

13 Q All right. Okay. Anything else about that
14 paragraph that you want to pick up on?

15 A Well, I would be specific that the retrospective
16 analysis conducted over the last eight years was
17 specific to the recent productivity forecast
18 table, and the same with the use of models like
19 the common filter, and I would say use of models
20 like the Kalman filter, Ricker model, if we're
21 using an example. And again, that's specific to
22 the recent productivity forecast table.

23 For both the recent productivity forecast
24 table and the productivity like 2005, the last
25 point applies to both of those.

26 Q All right. Can you briefly describe the
27 collaboration that accompanies the work that you
28 do in forecasting?

29 A Yes. We, over the years, have done significant
30 collaboration with our colleagues within the
31 Department of Fisheries and Oceans, so, for
32 example, Al Cass -- Mr. Al Cass is foundational to
33 the forecasting process, and we've -- we work as a
34 team in collaboration with other people with
35 similar expertise within the departments, so we
36 would collaborate significantly with individuals
37 like Al Cass who has a legacy of forecasting and
38 is foundational to the forecasting process.

39 We would also engage other individuals within
40 the Department who have expertise. We collaborate
41 also outside of the Department with individuals
42 who have expertise in forecasting and Fraser
43 sockeye, so, for example, the Pacific Salmon
44 Commission has been extremely helpful in the
45 forecasting process from Mike Lapointe's input
46 over the years on just his incredible
47 understanding of the animal and the brood year

1 escapements, returns. He understands the data.
2 He always is extremely helpful and we collaborate
3 extensively throughout the forecasting process
4 with Mike Lapointe.

5 Also Dr. Catherine Michielsens we have also
6 collaborated extensively with. She's a Bayesian
7 statistical expert and has provided us with lots
8 of advice and assistance in the forecasting
9 approach. She is a lead author on the 2010
10 Forecast Paper and assisted with the 2009
11 forecast.

12 We've also engaged Dr. Randall Peterman with
13 forecasting approaches, trying to stay on the
14 cutting edge of models that are available. So I
15 worked with Dr. Randall Peterman taking one of his
16 courses on risk assessment, as well as working
17 with him directly on the forecasts. We did a lot
18 of collaboration when it came to using the Kalman
19 filter, Ricker model, which was one of his
20 forecasts that looks at shifts in productivity
21 over time versus just looking at average
22 productivity. So we've collaborated with him
23 there.

24 Dr. Randall Peterman was also a reviewer of
25 our 2010 forecast paper, and agreed with the
26 methodology and felt that we were using cutting
27 edge methodology that's available in the field.

28 We also -- I mean, the collaborations go on
29 and on 'cause I've already talked about the
30 environmental conditions where we've collaborated
31 extensively or engaged scientists on ocean
32 conditions, freshwater conditions, as well as our
33 operational programs. Within my division in Stock
34 Assessment, I'm the analytical arm whereas we have
35 a Sockeye Operational Group as well. We would
36 engage extensively on them on the data, issues
37 like that. So there's a lot of collaboration when
38 it comes to the forecast.

39 Q All right. Thank you. Now, bearing in mind the
40 uncertainties and variables and all of what you've
41 said in your evidence so far, can you say in your
42 assessment how good is the forecasting that's done
43 for Fraser sockeye using the processes and
44 methodology you've described?

45 A Relative -- in the world of forecasting, I think
46 through, again, Dr. Randall Peterman's reviews and
47 others reviewing our methodology, our methodology

Sue Grant

Cross-exam by Mr. Taylor (CAN)

Cross-exam by Mr. Leadem (CONSER)

1 that we use for Fraser sockeye is at the -- it's
2 using the best available tools that are available
3 to us for the world of Fraser -- for sockeye --
4 forecasting salmonid stocks. Not only that, we're
5 even on the cutting edge by incorporating models
6 like the Kalman filter, Ricker model, that had
7 been recently introduced by Dr. Peterman, by
8 incorporating time-varying productivity parameters
9 within our models.

10 So I think it would be generally accepted
11 that the modelling approaches we've used, and
12 Randall Peterman would agree based on his comments
13 at the review of our 2010 research document, that
14 our methodology used is very good -- like it's at
15 the cutting edge of what is available in the
16 scientific community.

17 Q All right. Thank you. Is there anything else by
18 way of information or points that you think are
19 important for you to make about forecasting for
20 the Commissioner or to the Commissioner other than
21 -- beyond what you've already testified to?

22 A I'm just going to think for a moment.

23 Q Okay.

24 A I think we've covered the key points. There's
25 nothing.

26 MR. TAYLOR: Thank you. Those are my questions.

27 MS. BAKER: Thank you, Mr. Commissioner. I believe the
28 next up is Mr. Leadem for the Conservation
29 Coalition.

30 MR. LEADEM: Leadem, initial T., appearing as counsel
31 for the Conservation Coalition.

32
33 CROSS-EXAMINATION BY MR. LEADEM:

34
35 Q I want to begin by thanking you, Ms. Grant,
36 because before you gave your evidence, a lot of
37 forecasting was incomprehensible to me, and I've
38 gained some understanding. I can't pretend that I
39 understand Bayesian probabilities, nor do I think
40 I ever will, but at least I have some appreciation
41 for what it is that you do, so I thank you for
42 coming.

43 I want to reflect on the Wild Salmon Policy
44 and some of the work that you've done. You
45 alluded to a paper that's presently in the works,
46 and I wonder if we can just take a quick look at
47 Exhibit 184, Mr. Lunn, please.

1 Are you the same S.C.H. Grant as author --
2 main author on this paper?

3 A Yes.

4 Q And my understanding is that this particular paper
5 which deals with benchmarks for Fraser River
6 sockeye conservation units was reviewed last fall,
7 was it?

8 A It was reviewed in the spring of this past year, I
9 believe. Yeah, this past spring.

10 Q Okay. It went through the CSAP process, did it?

11 A Yes, it went through the CSAP. I'm just switching
12 gears mentally now from forecasting.

13 Q All right. I'll give you a moment to reflect on
14 it, because --

15 A Yeah, just --

16 Q -- my information is that this went through the
17 CSAP process sometime in November of 2010.

18 A Yeah, I'm mind-blanking on when -- when we -- when
19 it went through the CSAP process, but it did go
20 through the formal CSAP process and it's a
21 research document similar to the 2010 Forecast
22 Paper in the type of document that it is.

23 Q And my understanding is that the paper is
24 presently under review. I just wanted to get an
25 updated status on it.

26 A Yes. This draft, this exhibit draft that you have
27 is prior to the CSAP process, so the Science
28 Advice Process within DFO, and it was a day -- it
29 was a two-day CSAP process, so this paper was what
30 all the formal reviewers that included, again, Dr.
31 Randall Peterman, Mr. Mike Staley and a third
32 reviewer as well. So there was three formal
33 reviewers as well as the CSAP Salmon Subcommittee,
34 which included Dr. Carl Walters being present, Dr.
35 Catherine Michielsens and a room full of technical
36 experts.

37 So this paper is what all those reviewers,
38 the formal ones and the people present in the room
39 would have seen. But coming out of that meeting
40 are recommendations from the formal reviewers as
41 well as from the CSAP process, and it does not
42 encapsulate any of that at this point in time. So
43 there will be changes made to the methodology, our
44 approaches, and this will be published in the
45 spring of this year.

46 Q All right. That answers my question. I just
47 simply wanted an update on it.

1 A Okay. Okay.

2 Q Earlier today, you gave evidence about the
3 forecasting and about incorporating environmental
4 variables within your forecasting, and you -- I
5 think you listed a couple of them. One was sea
6 surface temperature, another one was Fraser River
7 flow. I was wondering if you would also give some
8 consideration to incorporating water temperature
9 in the Fraser as an environmental variable in
10 forecasting.

11 The reason I asked that is that last week we
12 heard from Mr. Lapointe who gave evidence and
13 highlighted that environmental variable as a key
14 factor in survivability of the fish as they're
15 migrating upstream. Would that be something that
16 you would want to consider as an environmental
17 variable? Can you factor that into your modelling
18 exercises?

19 A Yes, we could factor that variable into the
20 modelling exercises. One of the challenges with
21 incorporating just that single variable is that
22 when you consider the life history of Fraser
23 sockeye, in fact, a lot of the mortality -- the
24 bulk of the mortality occurs probably from the egg
25 stage when you consider billions of eggs are laid.
26 From the time they emerge from the gravel, a lot
27 of mortality occurs in that stage.

28 A lot of mortality is thought to occur -- one
29 of the key hypotheses for survival of salmonids is
30 that -- or fish, in general, is generally they're
31 most vulnerable when they're smallest and
32 youngest, so they're more vulnerable to mortality
33 mechanisms like predation and starvation. It's
34 also thought -- so in the freshwater environment,
35 it would be a lot of mortality occurring early on
36 in the freshwater environment, as well as that
37 transition into the marine environment.

38 It's thought that the bulk of the mortality
39 -- this is a hypothesis -- that a lot of the
40 mortality would occur early on, because when they
41 hit the marine environment, they're their smallest
42 and they're more vulnerable to predation because
43 they're not able to swim as fast. The bigger you
44 are, the faster you can swim. Also to tolerate
45 periods of less food availability, if you're
46 bigger, you have greater energy stored. So
47 usually it's thought that early on, when you first

1 hit the ocean, you're most vulnerable to
2 mortality.

3 So part of the downstream migration, there
4 could be considerable mortality as they're
5 migrating down as juveniles as well as when they
6 first hit the ocean, the Strait of Georgia early
7 on along their migration, along the Continental
8 Shelf.

9 So getting to your question, it's thought
10 that most of the mortality - and when we cue in on
11 mortality mechanisms and environmental variables,
12 we're cued in on variables that would be drivers
13 of that early marine ocean entry or downstream
14 migration elements.

15 The variable that you're describing,
16 definitely we know through work of -- you're going
17 to hear from David Patterson and others working on
18 environmental conditions and how they influence
19 returning salmon and influence mortality of the
20 returning salmon. They can play a big role in
21 mortality, but in the grand scheme of the sockeye
22 life cycle, it's generally thought that it's this
23 early ocean entry period or juvenile period in the
24 fresh water that's driving recruitment variation.

25 So it's a part of the puzzle. But using it,
26 again, as a single environmental variable probably
27 would explain very little of the total variability
28 in salmon survival.

29 Q That's helpful. Thank you.

30 A Okay.

31 Q I want to end up by contrasting the 2009 return
32 and the 2010 return, because those were the two
33 returns that you spoke most in terms of your
34 evidence. Do I have it right that the 2010
35 return, you can describe it as being a bonanza,
36 but mostly due to the Late Shuswap, the great runs
37 of the Late Shuswap that we saw last year; is that
38 right?

39 A Yes. I would characterize it -- I don't have,
40 again, all the preliminary data in front of me and
41 it's not an exhibit and it is preliminary. But
42 you are correct that preliminary returns are
43 suggesting that the drivers of the abundance in
44 the 2010 returns were the Late Shuswap which is
45 comprised -- like the big part of that run is the
46 Adams run as well as -- even the Early Summers,
47 the Scotch Seymour component, which are Shuswap-

1 rearing fish as well. So it appeared that the
2 Shuswap-rearing fish, both in the early Summertime
3 component and the Late time component did pretty
4 well.

5 Of course it was Late Shuswap that was the
6 bulk of the abundance in 2010, and it was also the
7 stock that -- we haven't seen persistent declines
8 in productivity on their time series, unlike other
9 stocks that have been declining. Like Shuswap has
10 been kind of stable in terms of its productivity.

11 So in terms of our recent productivity
12 forecast, it actually wasn't too different for
13 Late Shuswap than the long-term average, because
14 productivity hasn't systematically declined for
15 Late Shuswap.

16 Having said that, even so, like Shuswap, when
17 you place it on the map of the long-term average
18 forecast table, it's still falling out at the high
19 end of the probability distribution, so it's -- on
20 top of it not having exhibited any declines in
21 2010 in productivity, it appears to have exhibited
22 increased productivity in the 2010 returns. So no
23 doubt that Late Shuswap was driving those returns.

24 Q But that same abundance pattern, you did not see
25 emerge with other stocks or other conservation
26 units. I mean, those conservation units - and I
27 know the results are still preliminary - but those
28 conservation units, such as Cultus, and some of
29 the other conservation units, they still remain
30 flat or in decline; is that right?

31 A No, that is incorrect. Again, I don't have all
32 the data in front of me, but I know that for a lot
33 of the other stocks in 2010, there's a few that if
34 you place them on the long-term average
35 productivity -- they did better than recent
36 productivity, so we -- we had put that forward as
37 the most -- the greatest weight of evidence was
38 the recent productivity, second case. A lot of
39 the stocks we switched over, if you want to
40 compare them, you switch over to how they compare
41 to the long term time series.

42 Late Shuswap was extremely on the high end of
43 the probability distribution, so I suggest their
44 productivity is really good. But a lot of the
45 other ones were still showing average, above
46 average productivities. And then there was
47 several showing below average. So Early Stuart is

Sue Grant

Cross-exam by Mr. Leadem (CONSER)

Cross-exam by Ms. Gaertner (FNC)

1 one example of one that was -- I believe the
2 return was in the 100,000 range, so it was
3 slightly below the long-term average.

4 So there was nuances amongst the stocks in
5 terms of how they were doing. Cultus was one that
6 actually didn't do -- it did okay this year. It
7 was a good return, I know, back to the fence. We
8 were seeing something like 10,000 fish, so it was
9 on -- it wasn't -- productivity was not as bad as
10 the recent productivity we've seen, even for
11 Cultus.

12 Q But going now to 2009, that was, as you say, an
13 anomaly because we saw most of the stocks, with
14 the exception of the Harrison and potentially some
15 of the Late Shuswap showing a very marked decline;
16 is that fair?

17 A Yes. In 2009, we saw a more consistent signal of
18 below-average productivity across all stocks
19 except for Harrison, in that return year. In the
20 2009 return year, Harrison was one of the
21 exceptions.

22 Of course, there's variability in terms of
23 whether it was the lowest. For most stocks it was
24 amongst the lowest productivity we'd seen on the
25 time series, but there was variation amongst the
26 stocks.

27 MR. LEADEM: Thank you. Those are my questions.

28 MS. BAKER: Mr. Commissioner, the only other counsel to
29 ask questions would be Brenda Gaertner.

30 MS. GAERTNER: Mr. Commissioner, I only have a few
31 questions of this witness, and I share the
32 gratitude that was expressed earlier by Mr.
33 Leadem.

34
35 CROSS-EXAMINATION BY MS. GAERTNER:

36
37 Q Could we turn to Exhibit 340? I just want to pick
38 up on the transition from the way the forecasting
39 has been done over the 19 stocks and the way we're
40 moving into the conservation units. I noticed
41 from the evidence that you gave at Table 1 on page
42 6 of the actual document, I noticed when I looked
43 at the comparison of the 19 stocks, and then I
44 looked at the conservation units, that the
45 predominant aggregate that -- bear with me as I
46 use layman's terms -- that could be dis-aggregated
47 is the Summer runs. Is that -- is that a fair

- 1 observation? It looks like the group of Summer
2 runs are the ones that have the most groupings of
3 the conservation units. Have I read that right?
- 4 A Yes, they would -- based on what you're saying,
5 that is correct. They have multiple conservation
6 units within them, more so -- like that run timing
7 group would have more multiple conservation units
8 within an individual stock than the other -- than,
9 generally speaking, than the other run timing
10 groups.
- 11 Q And so the work, in terms of moving from the 19
12 stocks into the conservation units, whatever
13 number we end up with, could well be served to
14 start focusing on the Summer runs. If we started
15 to -- if we had to prioritize where we could get the
16 best bang for our buck in terms of dis-aggregation
17 -- getting more information about the conservation
18 units, beginning to gather more information over
19 time in terms of conservation units, that if we
20 began to focus, particularly in the aggregate of
21 the Summer, that that would be a useful thing?
- 22 A I think for clarification, you're -- just because
23 the conservation units are aggregated with a
24 particular stock doesn't mean we don't have -- oh,
25 maybe that's what you do mean. Dis-aggregating
26 the recruitment time series.
- 27 Q That's right.
- 28 A Well, I know a holistic -- like an answer to your
29 question is that that is definitely, from my
30 understanding, what we're working towards. The
31 Pacific Salmon Commission is responsible for
32 creating the stock recruit time series, pulling
33 together all the data from DFO's escapement work
34 as well as catch work. I know that that's
35 something that the Pacific Salmon Commission was
36 working towards, the possibility of being able to,
37 as you put it, dis-aggregate the stock recruit
38 time series so that you could look at individual
39 conservation units. But that's a work in
40 progress.
- 41 Q Great. All right. So I have read that chart
42 somewhat accurately. Perhaps my next question
43 could just flow from that 'cause I am curious on
44 how we can begin to do the work of moving from the
45 19 stocks into the conservation units. I'm
46 wondering if I've heard your evidence correctly
47 today, is that we could -- you could begin to

1 develop forecasting models for those conservation
2 units. You're lacking the long-term numbers for
3 that, so you're lacking long-term escapement
4 numbers for some of those conservation units, but
5 you could begin to develop, relatively soon, the
6 more recent numbers on those conservation units;
7 is that correct?

8 A I would characterize that somewhat differently.
9 The Wild Salmon Policy -- I call it the Wild
10 Salmon Policy toolkit that Holt et al had
11 published in 2009 -- I believe, describes a number
12 of tools that can be used for Wild Salmon Policy
13 stock status work. Within that toolkit were
14 things like trends over time, so escapement trends
15 over time as a tool for assessing status for a lot
16 of these conservation units.

17 So, for example, Late Stuart has Takla/
18 Trembleur, Summer and Stuart Summer as two
19 separate CUs incorporated into it. I'm just going
20 to cross-check this. Yeah, so it's 15/16, Stuart
21 Summer and Takla/Trembleur Summer. Our escapement
22 time series does dis-aggregate, like we enumerate
23 our spawning ground assessments so that we have
24 separate estimates for Takla/Trembleur and the
25 Stuart Summer. So those two CUs, we could do
26 stock status work on the CUs independently using
27 different metrics.

28 Q So you could actually provide the forecasting on
29 those two already.

30 A What I'm saying, the Wild Salmon Policy tools --

31 Q Not the benchmarks on it. So let's stick to -- if
32 I'm confusing things, please let me know --

33 A Okay.

34 Q -- but if -- when it comes to just the forecasting
35 work that you're doing, do you have --

36 A Oh, okay.

37 Q -- the forecasting tools to give us forecasts for
38 both the Late -- for both of the conservation
39 units in the Late Stuarts?

40 A Well, on one hand, we would, for some of the CUs,
41 because we could use what we're calling non-
42 parametric models, so you could use -- because we
43 can split out for Late Stuart, as an example, the
44 brood year escapements into the two conservation
45 units. You could use the two different brood year
46 escapements for the two different conservation
47 units multiplied by recruits per spawner, time

1 series average or -- you could look at variance of
2 that kind of model because we can separate for a
3 few of these CUs the escapement time series.

4 We wouldn't necessarily at this exact point
5 in time be able to use all the biological models,
6 depending on where we're at for separating out the
7 recruitment time series, so where our spawning
8 ground assessments do provide fine enough
9 resolutions to separate into individual CUs, it's
10 our recruitment information, which is the catch
11 component of escapement plus catch, so the
12 escapement part we could partition. But the
13 recruitment part, which is partitioning catch into
14 the separate CUs, would be an ongoing -- it's part
15 of an ongoing process, and it hasn't been -- I'm
16 not sure where we're at with that, but it's not
17 something, at present, we'd be able to do. It's a
18 work in progress.

19 But there would be certain models we could
20 use by CU.

21 Q I somewhat think it would be unfair for me to ask
22 you which of these you could do. Which could you
23 do a forecasting model right now?

24 A Well, the challenge with answering that question
25 would be that this is -- this CU list is from
26 Holtby and Ciruna's 2007 paper, and we're in the
27 process of updating that current list. So these
28 CUs wouldn't necessarily be the final CUs. That's
29 a work in progress as well that we'd be finalizing
30 with the April report.

31 So it would have to probably wait until we
32 had all the final CUs to put into that table,
33 because I -- there would be a lot of -- not a lot,
34 but there'd be changes to what you see here. So
35 to go through one by one could be -- it might be
36 misleading, given that the conservation unit isn't
37 finalized.

38 Q Okay. I'll move on, and not press that point with
39 you at this time.

40 I'm curious. The chart that you called the
41 report card, short Table 5 of this same document
42 at page 15, I don't see it in the 2010.

43 A Oh.

44 Q Is there a reason for that? Did I miss it?

45 A No, you didn't miss it. The reason we didn't
46 include it in 2010, we're still tracking the state
47 of the ocean environmental conditions, staying in

1 the loop on what's going on environmentally. But
2 given the indicators that we had selected had not
3 captured the survival conditions that we saw in
4 2010, being that -- or, no, I should go back to
5 the 2009 return year.

6 Because this suite of environmental variables
7 had indicated to us that the environmental
8 conditions were good, so if you look at that last
9 circled column on this chart, that was the 2009
10 returns for most of the sockeye that returned in
11 2009 as four-year-olds. All those environmental
12 indicators that we had selected, and from the
13 State of the Ocean report, had broadly said -- or
14 indicated that ocean conditions were good. IN
15 fact, the returns in 2009, as we all know, were
16 amongst the lowest productivity on record.

17 So whether these aren't capturing either the
18 environmental conditions in the ocean or we're
19 missing something in the freshwater environment
20 early on, we felt it wasn't informative given it
21 was disconnected with what actually occurred in
22 2009, so we decided not to publish again in 2010
23 the state -- this information, and instead
24 reference State of the Ocean Reports, but not
25 specifically provide this, given it disconnected
26 for 2009.

27 Q Okay. That's helpful, thank you. I take it from
28 the evidence you've provided us so far that it's
29 your thinking that taking any one particular
30 environmental variable is not helpful in
31 forecasting, and that there -- so far. So far
32 it's not helpful.

33 I want to turn your mind to the issue of
34 cumulative impacts which is sort of the opposite
35 way of saying that, that there's a lot of impacts
36 along the way, a lot of impacts in addition to
37 global temperatures, which is what I take to be
38 the primary indicators that are being used right
39 now, temperature for water -- or water temperature
40 or water flow as a result of icepack melting.

41 So there are a lot of other cumulative
42 impacts. Just take urbanization at the mouth of
43 the river, for example. Are there models that are
44 being developed or considered, either in British
45 Columbia or in the world, that you're aware of,
46 that would help us to begin to include in any of
47 the forecasting, anything that we're doing, these

- 1 cumulative impacts that salmon are responsive to?
2 A There -- I'm sure there are. I'm not
3 necessarily --
4 Q You're not aware of any of the cumulative impact
5 models?
6 A I can't speak to any specifically, so, no.
7 Q Okay. I was hoping you could turn our minds to
8 certain ones that might be helpful to us.
9 All right. Then the last area of questions I
10 have is just around the whole issue of
11 communication and uncertainty and I thought your
12 evidence this morning to be particularly helpful,
13 especially the expression a lot of people focus or
14 fixate on a number.
15 A Mm-hmm.
16 Q So I have -- given the broad range of users of
17 things like the CSAS paper, the public, the
18 managers and the harvesters, do you have any
19 recommendations on how we can communicate better
20 the purpose of forecasting and what you're doing
21 here and - it's a twofold question - and the
22 implications of those uncertainties to those that
23 are reading them?
24 A I think that's -- I mean, communicating
25 uncertainty and communicating the forecast is
26 definitely something we're constantly working on
27 and playing around with, so it's one of the
28 reasons why we, I think in the 2010 forecast,
29 started presenting the three different cases in
30 those horizontal bars that were presented on page
31 41 on the 2010 research document by Grant et al.
32 Q Yes, I remember those.
33 A Okay.
34 Q So that's one of your ways --
35 A So we are playing around with different
36 communication -- ways to communicate the
37 uncertainty in the forecast, and that table, as we
38 were walking through, was communicating both
39 uncertainty in -- the stochastic random
40 uncertainty and observation error, process error,
41 model -- that kind of thing in the forecast
42 distribution as well as forecast -- presenting
43 uncertainty in regards to our assumptions about
44 survival of salmon, whether -- for Fraser sockeye
45 we expected 2009 to repeat itself, or we expected
46 long-term average.
47 So we were playing around with different

1 tools for communicating this complex sort of
2 uncertainty in a simple form. The idea is that
3 once you walk through it once, the next time you
4 see it, you'll know right away what that's
5 communicating, so it's -- the hard step is just
6 walking through and explaining. But once you have
7 it, you get a grasp of what you're communicating.

8 I know communication really interests myself,
9 especially in light -- in the forecasting world.
10 It's definitely a challenge in communicating
11 complex information. As I was describing earlier
12 today, why -- the forecaster beneficial (sic) --
13 and the miscommunication of the forecasts being a
14 single number and not a probability distribution,
15 and what these forecasts are really telling us,
16 rather than the sort of misdirection on the
17 forecast being wrong. Instead, they're actually
18 telling us, flipping it around and saying, no, the
19 forecasts are actually telling us that what
20 happened in 2009 was at the extremes of our range
21 of experience.

22 So I don't know -- like I don't have the
23 answers. I know that we're working on it. I
24 think just getting out there and being proactive
25 and communicating it more might be helpful. I
26 know we communicate it in management planning, and
27 maybe it gets simplified somewhat -- not
28 simplified there, but part of the miscommunication
29 can be that we're putting certain probability
30 levels into tables and people are -- then when it
31 gets out to the public, they see the single number
32 and they start to forget that there's a
33 probability distribution associated with it.

34 So maybe there's improvements in how we're
35 communicating in season from the Department and
36 from the Pacific Salmon Commission 'cause we all
37 release news releases throughout the season.

38 I think just being more proactive and getting
39 out there and having even, you know, communicating
40 like this to people and having people understand
41 the complexity. But I think it's a bigger
42 question for the Department also to tackle in
43 terms of how communication can be improved.

44 Q Is it fair to say that the forecasting you're
45 doing is forecasting a range of probabilities as
46 distinct from providing forecasting of actual run
47 sizes?

1 A Well, we're forecasting -- it's kind of like a
2 combination, maybe, of those where we're
3 presenting -- based on our historical
4 understanding of the Fraser sockeye populations,
5 we're forecasting the probabilities associated
6 with different run sizes, so based on historically
7 what we've seen. So which run sizes would be most
8 probable given what we've seen historically, and
9 which are becoming less and less probable. So
10 moving from ten percent probability level, which
11 is a 1 in 10 chance of seeing a run size up to a
12 90 percent probability. So it's kind of a
13 combination of what you're saying.

14 Q One last question, which is I heard the complexity
15 you have around communicating the uncertainties in
16 the forecasting. I'm curious, what efforts do you
17 make as someone who's responsible for generating
18 these forecasts, to communicate the implications
19 of those uncertainties to the managers, for
20 example, the Fraser Panel. Is that work that you
21 do, or do you rely on others to do it, or how does
22 that get done?

23 A It would be a combination of myself -- I would be
24 generally the presenter of the Fraser forecast and
25 communicating the uncertainty for the Fraser
26 sockeye forecasts at Pacific Panel Treaty
27 meetings, so PST meetings. So annually, when
28 we're in the pre-season planning mode, generally
29 in February -- sometimes the January meetings --
30 which is post-season, if we have -- generally we'd
31 have the forecasts done by then. I would be
32 responsible for presenting at the Panel meetings.

33 We also have integrated management team
34 meetings where I might present at. Others might
35 present the forecast as well in different forms,
36 because I can't be everywhere at once. Sometimes
37 it's tasked to people who understand the
38 forecasting methodology and who will present at
39 other forums. So it's a combination of myself and
40 colleagues who are also technical experts and
41 understand the complexity of the data.

42 MS. GAERTNER: Mr. Commissioner, I just have one
43 question of your counsel that I need to ask before
44 I can complete this -- my questions if that's
45 possible. I can either do that right at this
46 moment or --

47 THE COMMISSIONER: Sure. I'll turn off my microphone.

1 (OFF THE RECORD DISCUSSION)

2
3 MS. GAERTNER: Those are my questions, Mr.
4 Commissioner.

5 MS. BAKER: I don't know if Canada had any re-
6 examination.

7 MR. TAYLOR: None.

8 MS. BAKER: No. Neither do I.

9 THE COMMISSIONER: I just had one quick -- I think you
10 have a binder in front of you, Ms. Grant.

11 A Mm-hmm, yeah -- yes.

12
13 QUESTIONS BY THE COMMISSIONER:

14
15 Q Just to clarify for me, Tab 2, at least in my
16 binder, is the CSAS document; is that correct?

17 A For 2006?

18 Q Yes.

19 A Yes.

20 Q I understood you to say that this document is not
21 posted on the DFO website?

22 A This document would be posted.

23 Q It is posted? All right.

24 A It is.

25 Q And then the Tab 3 is the -- I think that's
26 Exhibit 340, I'm not certain, but that's the Pre-
27 Season Run Size Forecast for Fraser River Sockeye
28 in 2009?

29 A Yes.

30 Q That's also posted?

31 A Yes.

32 Q So do I take it, then, that Tabs 4 and 5 similarly
33 would be posted?

34 A Yes.

35 Q And do you have a counterpart at the Pacific
36 Salmon Commission, or do you fulfil the role of
37 advising on forecasting for both the DFO and the
38 Pacific Salmon Commission?

39 A The forecasting responsibility for abundance
40 forecasting for Fraser sockeye is DFO's
41 responsibility, so we are ultimately responsible
42 for producing it, so I would be the lead on the
43 production of the Fraser sockeye forecast. But we
44 collaborate and work with technical experts within
45 the Department and outside, which is why we have
46 Dr. Catherine Michielsens on the 2010 forecast as
47 an author, because we've collaborated outside the

1 Department.

2 But the delivery would be on the Department
3 for production of that forecast. But because we
4 engage the broader scientific community, it can
5 engage anyone out there who has the technical
6 expertise that we want to engage, similar to any
7 scientific paper that you write in the global
8 community. You would engage colleagues and
9 counterparts with expertise in other areas, so --
10 but the ultimate responsibility lies within the
11 Department.

12 Q But all of the modelling work that you've been
13 talking about all takes place within the DFO, not
14 within the Pacific Salmon Commission.

15 A As I mentioned, because we collaborate with the
16 Pacific Salmon Commission, there would definitely
17 be modelling done by the specific Salmon
18 Commission in working with us collaboratively to
19 assist with the forecasts. So there would be
20 modelling done by the Pacific Salmon Commission to
21 assist with the forecast in a collaborative way.
22 I mean, we're working together.

23 Q But are there -- are there documents similar to
24 the ones that you've got in your binder from the
25 Pacific Salmon Commission?

26 A Oh, no. No, they just collaborate with us on our
27 documents because we're the ones responsible for
28 it. So we're working together on this document.
29 Right.

30 THE COMMISSIONER: Okay. Thank you very much.

31 MS. BAKER: We do have -- hopefully, our next two
32 witnesses are here, so perhaps we can take a
33 shorter afternoon break. I'd like to be able to
34 get some substance out of the way within this
35 afternoon, so...

36 THE COMMISSIONER: All right. Thank you.

37 THE REGISTRAR: The hearing will now recess for ten
38 minutes.

39

40 (PROCEEDINGS ADJOURNED FOR AFTERNOON RECESS)

41 (PROCEEDINGS RECONVENED)

42

43 THE REGISTRAR: The hearing is now resumed.

44 MS. BAKER: Dr. Riddell, could you turn your mike on?
45 Thank you. So Mr. Commissioner, we have a new
46 group of witnesses to start, a panel dealing with
47 run-size assessment, and this particular panel

1 will be dealing with hydro-acoustics. We have
2 with us Mr. Mike Lapointe from the Salmon
3 Commission, who has been sworn into these
4 proceedings already, and Dr. Brian Riddell from
5 Pacific Salmon Foundation, who is also been a
6 witness already in the hearings, and perhaps they
7 can just be reminded of their oath.

8 THE REGISTRAR: Yes, gentlemen, you are still under
9 oath.

10 MR. LAPOINTE: Thank you.

11 DR. RIDDELL: Thank you.

12
13 MICHAEL LAPOINTE, reminded.

14
15 DR. BRIAN RIDDELL, reminded.

16
17 MS. BAKER: Thank you.

18
19 EXAMINATION IN CHIEF BY MS. BAKER:

20
21 Q Now, my -- my questions will be -- I'll try to
22 direct them to the specific person who I'm asking
23 them of. And my questions to begin with, for the
24 most part, are directed to Mr. Lapointe.
25 Currently there are two in-river hydro-acoustic
26 programs operating in the Fraser, one at Mission
27 and one at Qualark; is that right?

28 MR. LAPOINTE: That's correct.

29 Q And Qualark is just downstream from Yale, about 95
30 kilometres from Mission?

31 MR. LAPOINTE: I think that's about right. It's about
32 a three-day swim. Brian and I were just sort of
33 remarking, although there might be a little bit
34 shorter distance. But it's about a three-day swim
35 for a fish anyway.

36 Q Okay. Are both of these hydro-acoustic sites
37 components of the in-season assessment program?

38 MR. LAPOINTE: Not in a formal sense. The Qualark
39 program has been an experimental program. We did
40 actually use Qualark, although it was not planned
41 in 2010. It wasn't planned pre-season. But in a
42 general sense, they'd just been conducted as a bit
43 of an experimental program.

44 Q All right. And I'd just like to do a couple of
45 clarifications in the Policy and Practice Report,
46 as we go through. The first one is Policy and
47 Practice Report Number 5 at page 72. You'll see

1 paragraph 184. The statement is:
2

3 There are two in-river hydro-acoustic
4 programs currently used to assess the
5 abundance of migrating Fraser River sockeye
6 in-season: one at Mission and one at Qualark.
7

8 I take it only the Mission one is officially used,
9 although Qualark is, in fact -- it also does
10 measure in-season abundance?

11 MR. LAPOINTE: That's correct.

12 Q Okay. Now, the data that is collected at Qualark,
13 is it used in any way by the Fraser River Panel to
14 manage the Fraser River sockeye?

15 MR. LAPOINTE: As I said, in 2008 and 2009, so the
16 Qualark program has been operating for the last
17 three years, it was used in an informal sense so
18 there was regular in-season exchanges of that
19 information within a fairly small group and it was
20 used sort of informally. And in 2010, we did
21 actually use the -- the Qualark estimates to
22 actually adjust the Mission estimates. So
23 informally, and then in 2010, that's the nature of
24 how it's been used up until this point.

25 Q Okay. Is it expected that Qualark will become
26 part of the official in-river run-size assessment
27 program?

28 MR. LAPOINTE: It's possible. Right now, the future of
29 continued operation at Qualark is in doubt.

30 Q And why is that? What's the concern?

31 MR. LAPOINTE: It's major -- mainly a funding issue.
32 We're looking for alternative ways to fund the
33 program and there is actually a proposal that's
34 being written as we speak actually to look at an
35 alternate funding source and we expect to hear
36 probably sometime in February about the success of
37 that particular proposal.

38 Q Right now, who funds the work at Qualark?

39 MR. LAPOINTE: Primarily DFO.

40 Q Okay. If this additional cost was added to the
41 Salmon Commission -- Pacific Salmon Commission's
42 budget, how would that work? What would be the
43 impact?

44 MR. LAPOINTE: It wouldn't fit too well in the current
45 funding climate. The approximate cost of Qualark,
46 we've been informed by our colleagues, is about
47 \$300,000 a year, as an annual operating cost.

1 That doesn't include things like capital and
2 equipment that are associated with the program.
3 But that would represent about 7 percent of our
4 annual secretariat budget, which is about \$4
5 million, which is not a huge fraction of the total
6 budget. But if you look at the fisheries
7 management side of our budget, which is about a
8 million of that four million, it's about 30
9 percent of that budget.

10 So the current climate, and I'm not trying to
11 be negative about this, it's just the -- the
12 countries are quite conscious about keeping their
13 contributions constant. Both the United States
14 and Canada both kick in 50 percent of the total
15 budget so it's a \$4 million budget, each would
16 contribute \$2 million. And so any increments
17 above that, you know -- you know, quite
18 legitimately are, you know, looked at very
19 carefully and so it would be hard to push, in this
20 case, approximately \$150,000 per country easily
21 through the budget process that we're going
22 through right now.

23 Q Okay. Just another point in the -- in the PPR.
24 I'll take you to it in a minute. First of all,
25 the Mission system, is that a split-beam system?

26 MR. LAPOINTE: Currently at Mission, we're operating
27 primarily split-beam transducers. We do have a
28 DIDSON as well, but the primary estimation is by
29 split-beam, that's correct.

30 Q Okay. And at paragraph 187 on the page you see on
31 your screen, the PPR says that:

32
33 The split-beam system can measure the speed
34 and direction of fish moving upstream and/or
35 downstream. It can also detect fish near the
36 surface.

37
38 Is that correct?

39 MR. LAPOINTE: The first part of that sentence is
40 absolutely fine. The second part of the sentence
41 is kind of a yes-and-no answer. And I'll try to
42 explain. Any hydro-acoustic piece of equipment
43 has a blind zone associated with objects that are
44 very, very close to the front of the -- of the
45 equipment. So it doesn't matter whether it's
46 split-beam or single-beam or whatever the
47 technology is. DIDSON is not quite as susceptible

1 to this as the split-beam is. So we have two
2 kinds of programs at the Mission site. One of
3 them is a vessel where the equipment is looking
4 downward into the water. And in that case,
5 clearly, fish near the surface would not be
6 detected within about the first metre or so. Now,
7 the shore-based system is a system that looks out
8 from the shore into the middle of the river. And
9 that one is operated on a number of different
10 aims, if you like. So you can picture a piece of
11 equipment that's sort of vaning through the water
12 column like this with a certain number of minutes
13 at each aim. So obviously, when it's aimed
14 towards the surface, if the fish are, you know,
15 far enough away, it can detect those fish on the
16 surface. So it's, you know -- it's a little bit
17 complicated to suggest a rewording but that's how
18 I'd characterize the situation there.

19 Q Okay, thanks. And one last correction in the PPR
20 I just want to get out of the way. At page 74,
21 paragraph 193, the statement here references four
22 lines down:
23

24 For Mission, there is a gillnet fishery
25 downriver (at Whonnock) that provides
26 information on species composition, test
27 fishing at the Mission site itself and visual
28 counts upstream at Hells Gate.
29

30 Is there also an additional test fishing site
31 downstream of Mission that wasn't listed here?

32 MR. LAPOINTE: Yes, it's called the Cottonwood site and
33 it's near the Deas Island Tunnel that you go
34 through, the Highway 99 tunnel.

35 Q And what is that --

36 MR. LAPOINTE: It's primarily for stock composition.

37 Q Thank you.

38 MR. LAPOINTE: So the species composition being
39 sockeye, pink, Chinook, Coho; stock composition
40 being the individual components within the
41 sockeye.

42 Q Okay. Thank you. I think those are all the
43 points I wanted to raise in the PPR. So now I'd
44 like to move to the Mission hydro-acoustic site.
45 First of all, the Mission hydro-acoustic data is
46 important for in-season run-size estimation; is
47 that right?

1 MR. LAPOINTE: It's probably the single most important
2 part of the in-season run-size estimation.

3 Q Okay. And the estimate of daily upstream
4 migration collected at Mission is what we have
5 heard many times referred to as the "Mission
6 escapement"?

7 MR. LAPOINTE: That's correct.

8 Q Okay. And how does that data that's collected at
9 Mission get used in run-size estimates?

10 MR. LAPOINTE: Perhaps -- maybe I could suggest a
11 picture might be used here. We looked at some
12 graphs last week in the Records of Management
13 Strategy document and there's a set of them on
14 page 170. I'm not sure what exhibit number this
15 is.

16 Q That's Exhibit 330.

17 MR. LAPOINTE: And on page 170, just because -- I'm
18 sure if I said, remember those graphs that we
19 talked about last week, you might have a hard time
20 recalling which ones I'm referring to. So these
21 are the graphs that are used to display the daily
22 abundance pattern of the different stocks. And in
23 this case, they're shown relative to the forecast
24 -- two levels of forecast, the median value and
25 the lower value referred to as the "75p here. So
26 the way that the Mission estimates are used is
27 they're actually used to create that dark sort of
28 jaggedy line, which in the top there for Early
29 Stuart, shows a little bit of a peak around the
30 29th of July, for example. That's the graph that
31 I'm referring to.

32 So the Mission data are used to generate that
33 daily abundance pattern, along with any catches.
34 So last week, we talked about this idea of a --
35 sort of a boxcar model with this train car that's
36 about a day wide that has an abundance of fish on
37 it. And if there's no fishing, then, as that
38 abundance passes the test fisheries and it reaches
39 Mission, then those two numbers, if everything's
40 working well, should be fairly similar in terms of
41 their estimates. But if there's a fishery that
42 occurs between the two sites then there would be a
43 removal. So obviously you want to account for the
44 total abundance. So these graphs are intended to
45 be the total abundance, not just escapement.

46 So it's the Mission data, which is the
47 primary anchor. Any catches that might have

1 occurred between test fisheries in Mission that
2 need to be added to the total run, that's primary
3 -- the primary tool that's used to generate these
4 graphs. The last six days, because those are fish
5 that would have passed the test fishery but not
6 yet reached Mission, would be test fishing base.
7 So it would be nice to be able to kind of colour
8 in the last six days of these graphs. But in the
9 case of Early Stuart, by this date -- I'm not sure
10 what the date is -- it looks like it's sometime in
11 late July -- all the fish that would have been
12 available to pass Mission would have passed. In
13 the case of Early Summers and Summers, you see,
14 are at different stages of the run.

15 So the concept is that you take these in-
16 season daily reconstructions, what we call them,
17 these bold solid lines and compare them to
18 hypothetical run sizes with different timing and
19 spread. And you're trying to ask the question,
20 not just the forecast, but a whole range of them.
21 And you're trying to ask, okay, which possible
22 scenario of abundance and timing is most
23 consistent with the data? And in our discussion
24 last week, we talked about how you're more certain
25 about that when you see the peak. So this is a
26 very good example. You see the Early Stuart. If
27 you've got the entire run in your sites, you could
28 be pretty sure about finding some limited set of
29 potential abundances that would be consistent with
30 that.

31 If you look at the Summer run on the bottom,
32 clearly there's going to be a whole range of
33 potential abundances and timings that will be
34 equally consistent with that little bit of data
35 that we have. So Mission is the -- kind of the
36 anchor for generating these curves.

37 Q And why -- why use Mission and not just the test
38 fishing data that you're receiving six days prior
39 to Mission?

40 MR. LAPOINTE: Well, the main issue is something I
41 think I also referred to last week is that Mission
42 is quite a large sample. We probably actually, in
43 physical targets, detected Mission somewhere in
44 the order of 10 to 15 percent of the actual number
45 of fish going by. Test fishing catches represent
46 somewhere around the order of half to -- half-a-
47 percent to 1 percent. So it's a much smaller

1 sample. So the Mission data should be more
2 precise and we believe more accurate just because
3 it's a more -- it's a larger sample of what's
4 going by.

5 Q All right. And near the Mission hydro-acoustic
6 site, there are places where you do stock -- you
7 collect samples for stock composition?

8 MR. LAPOINTE: Yeah, so the idea there is that the --
9 the total sockeye number comes from the
10 combination of the acoustics and any species
11 compositions. So in pink years, you'd have to
12 parse out the pinks and the sockeye. But then you
13 want to divide that total sockeye into the
14 different stock groups at a minimum, the four
15 sockeye management groups, so the Early Stuart,
16 Early Summer, Summer and Lates. But then, as I
17 think some of these other graphs in this document
18 show, sometimes we're parsing out into finer units
19 for different purposes. So you know, if the
20 concept is you've got the total pie, which is the
21 sockeye, and then the stock ID is splitting that
22 pie into the different component groups.

23 Q Are the programs -- is the Mission program, I
24 should say, reviewed by the PSA staff every year?

25 MR. LAPOINTE: Yeah, it's a routine part of our post-
26 season work.

27 Q Okay. And who's part of that review? Which -- is
28 it all PSC or are other people involved?

29 MR. LAPOINTE: We have both internal and collaborative
30 reviews. The internal reviews are, you know, just
31 our staff. The external or the collaborative
32 reviews involve a group called the "Hydro-
33 Acoustics Working Group", which is largely
34 comprised of colleagues from DFO who have
35 considerably acoustics expertise. So that kind of
36 was borne out of more formal collaborations as a
37 result of some of these reviews that have occurred
38 in the past where there's been recommendations for
39 improvements. And so we sort of kept that group
40 together and we try to take advantage of their
41 views in reviewing our programs.

42 Q All right. I'm going to show you a document,
43 which is in Tab 4 of the binder you have in front
44 of you. It's CAN065011.

45 MR. LAPOINTE: Okay, yeah?

46 Q Thank you. And these are Minutes of Hydro-
47 Acoustic Working Group, HaWG.

1 MR. LAPOINTE: Right.
2 Q This is the group you were just talking about?
3 MR. LAPOINTE: Yeah, it's a catchy name so it works.
4 Yeah, this is our group. And it varies. Like
5 sometimes there will be some other folks than the
6 ones listed on this -- this list of -- but those
7 are the principal players in the group.
8 Q Right. And this is an example of the minutes that
9 would be kept of that kind of a meeting,
10 obviously?
11 MR. LAPOINTE: Yeah, sure. Yeah, that's a perfect --
12 good example.
13 Q All right. You said that this working group was
14 put together following some reviews. Is this --
15 can you relate the year of those reviews to the
16 creation of this group?
17 MR. LAPOINTE: Sure. So we've had reviews associated
18 with 1992, which was a Pearce-Larkin review; 1994,
19 John Fraser review; 1998 was an internal review
20 largely within the Fraser Panel in reference to
21 the very hot water we had in the Fraser River that
22 year; 2004, Brian Williams review. Trying to
23 think if I've missed any. I think that's -- those
24 are most of them. And of course, standing
25 committee, Brian?
26 DR. RIDDELL: 2004.
27 MR. LAPOINTE: Okay. So there was a standing committee
28 review also in 2004, I believe.
29 Q And was this group created in reaction to all of
30 those? I mean I wouldn't think so.
31 MR. LAPOINTE: Oh, no, actually --
32 Q No.
33 MR. LAPOINTE: -- this group is there all the way
34 through --
35 Q Yeah.
36 MR. LAPOINTE: -- so there's nothing about the 2004
37 review that was unique relative to the past years
38 except that obviously we had a lot more outside
39 folks focused on what we're doing. But other than
40 that, it's a routine thing. We meet -- whether we
41 have a review or not, we meet.
42 Q All right. In 2004, you -- you met with -- I
43 think this was following the Williams review?
44 That's -- that's (indiscernible - overlapping
45 speakers)?
46 MR. LAPOINTE: Well, I think the Williams review was
47 still -- still meeting in the spring of that year,

1 as I recall, but I could be -- could be wrong. I
2 seem to recall testifying in like May -- April/May
3 of that year so this was prior to that, probably
4 to lay out some work plans for input into that
5 process.

6 Q All right. And the Williams review was instigated
7 by some significant discrepancies, amongst other
8 things, in 2004; is that right?

9 MR. LAPOINTE: That's correct.

10 Q All right. And discrepancies in the river portion
11 in terms of what got on the spawning ground and
12 what was recorded initially?

13 MR. LAPOINTE: Yeah, this item that we've been calling
14 the DBE in my previous testimony is the topic of
15 that review largely.

16 Q All right. And is that what was on the -- on the
17 table for discussion during the working group
18 meeting that I have put (indiscernible -
19 overlapping speakers)?

20 MR. LAPOINTE: Yeah, it's on the table for discussion
21 in every year. So one of the inferences we draw
22 -- or one of the things we use to draw an
23 inference about how we're doing is how well or not
24 the upstream numbers coincide with what we might
25 have expected based on our lower river hydro-
26 acoustics.

27 MS. BAKER: All right. Could I have these minutes
28 marked, please?

29 THE REGISTRAR: Exhibit Number 353.

30
31 EXHIBIT 353: Hydroacoustic Working Group
32 Meeting (HaWG) - 14&15 Dec 2004 - Review of
33 2004 of Mission Hydroacoustic Program
34

35 MS. BAKER:

36 Q Okay. So this issue that's on the table, the bias
37 or accuracy at Mission, can you describe what that
38 issue is and how it was addressed in your working
39 group?

40 MR. LAPOINTE: I'm trying to think of a specific
41 recollection to 2004. We would have done our
42 normal, routine review of the sampling schemes to
43 see if there were any issues with equipment. You
44 know, on sample, there is -- anything that we
45 could think of that would be obvious from a
46 sampling design perspective that could cause bias.
47 In 2004, we probably looked for other sources of

1 causes for discrepancies. The big one in 2004
2 would have been the extremely warm temperatures.
3 I think, in my recollection serves me right, I
4 think there were something like eight or nine
5 record daily maximums Fraser River temperatures
6 set in that year; in other words, the warmest day
7 -- temperature on this date in 60 years. There
8 were like nine of those set in 2004. So in a
9 general sense, though, you know, this program has
10 been subject to fairly intense scrutiny over time.
11 And in all of those reviews, including 2004, and
12 in general, it's been not found that there's
13 significant issues although we've always come out
14 of those reviews with recommendations for
15 improvements.

16 Having said that, accuracy is not that easy
17 to address in a scientific sense. And the reason
18 I say that is when you use a word like "accuracy"
19 and there's quite a bit of misunderstanding, not
20 only in the public but also in some technical
21 discussions. What you're really saying is, how
22 close is your estimate to what the true underlying
23 population is? And the reality is, at Mission, we
24 don't know what the true underlying population is
25 and so the way we try to address the issue of
26 accuracy is by drawing some sort of an inference.
27 And you draw an inference from a number of
28 different ways. One is to, again, look at your
29 sampling design. Are there any elements of your
30 sampling design, places you're not sampling,
31 things like that, that could create some sort of
32 bias?

33 But the other way that's been used and more
34 commonly is to compare the Mission estimate to
35 another estimate from somewhere else like Qualark
36 or upstream or -- and that -- that is used to draw
37 an inference. And I guess it's always important,
38 as a scientist, to sort of thing about that and
39 recognize that if that's another estimate, then
40 that estimate could also not represent the true
41 value. So you're caught in this dilemma of trying
42 to look for some consistency in independent
43 estimates and say, well, if it's inconsistent
44 there's definitely something that could be wrong
45 with one of them. If they're consistent, perhaps
46 the impression is drawn that perhaps they're
47 correct, which may be true. I mean the likelihood

1 of two independent things being wrong so it's a --
2 it's a real challenge at the Mission site and any
3 other acoustic site to know what the true answer
4 is. And so we're always trying to draw these
5 indirect inferences based on either other
6 estimates or looking at our program to see if
7 there's anything faulty about the way we're
8 sampling that could create a problem.

9 Q All right. So in terms of what you can do to
10 assess accuracy or bias at the Mission site,
11 you've talked about evaluating the sampling design
12 as being one thing to be done?

13 MR. LAPOINTE: Yeah, and you could think about other
14 ways in sort of an academic sense to do this. I'm
15 not certainly recommending them. But so for
16 example, when there's a large fishery in Area E,
17 it tends to remove almost all the fish that are
18 available on a daily block. So when we see a
19 Mission estimate following a fishery that is a
20 very low number, that gives us some confirmation
21 that when there's a removal we've got a pretty
22 handle on the estimate.

23 You could do the reverse experiment and get a
24 daily abundance estimate at Mission and then try
25 to remove fish upstream of it to try to get a
26 sample of a day's migration. I mean these are
27 things that could be done but it is very
28 challenging. But we do use catch information,
29 both above and below Mission, to give us an idea,
30 okay, well, does that catch make sense relative to
31 the number of fish that were available or the
32 harvest rates that a fishery could -- could exert?
33 So it's definitely kind of inferential, indirect,
34 not really attacking the accuracy question in a
35 pure scientific sense.

36 Q Right. So the issue about bias has been on the
37 table for a number of years and it is something
38 that you review every year?

39 MR. LAPOINTE: Yes, it's a routine part of our analysis
40 in the post-season.

41 Q All right. And have any improvements been made
42 over the last, say, five to ten years in
43 addressing some of these concerns?

44 MR. LAPOINTE: Yeah, a number of them. The most
45 notables would be moving to the split-beam
46 technology from the single-beam technology.
47 Single-beam technology is not capable of

1 discerning direction of travel or speed of travel,
2 whereas split-beam is so we had, I guess,
3 initiated from the 1994 review about a seven,
4 eight-year program to bring those methods of
5 split-beam technology to Mission. And so that was
6 one of the main ones.

7 Another main one is to try to sample also
8 from the shore. So we basically followed a model
9 developed for Qualark when Qualark was first
10 developed in its first -- first incarnation, I
11 guess, in the mid-'90s to say, okay, if we can
12 sample from the shore, a significant fraction of
13 the abundance, that should be much more robust.
14 And the reason it's more robust is that the --
15 when you have a boat that's moving, a couple of
16 things happen. One is fish to react to a boat.
17 I'm sure everyone can relate to the idea that if
18 you have a boat with a motor on it and you're
19 trying to sample fish, they're going to react to
20 the motor. And we can detect evidence of this
21 within about four metres of our boat. We've done
22 some work on that.

23 The other one is that you're trying to get an
24 estimate of the speed of travel, which is
25 important for the estimation. And so if you have
26 a moving vessel and moving fish, it can be really
27 difficult to get an accurate estimate of the
28 speed. So the reason to go to the shore-based
29 system is you can get way more accurate estimates
30 of speed of travel and direction of travel from
31 the shore. So split-beam trying to sample from
32 the shore, we have systems now on both banks, are
33 two of the most significant improvements we've
34 made in the last four or five years.

35 Q Thank you. And Dr. Riddell, do you have anything
36 to add on this? You need to turn your mike on.
37 Thank you.

38 DR. RIDDELL: Well, there's a couple of points. I want
39 to support what Mike was saying about how you
40 assess accuracy or bias and that. And really the
41 only way you can evaluate that is with an
42 independent estimate. And Mike stressed the
43 consistency element. But we also have to
44 recognize that each has independent sources of
45 bias. You tend to be using a different tool or
46 you're using a different location and that. So we
47 do place a fairly high dependence on consistency

1 between estimates and that. And we do look for --
2 if it's a three-day lag between Mission and
3 getting up to Qualark and if we adjust for that,
4 is there a strong correlation? And many of your
5 documents you'll see have plots of returns over
6 time overlapped and there's a very, very high
7 correspondence and that. So it's a difficult
8 thing to do. I think, as Mike just said, the
9 Pacific Salmon Commission has made a very serious
10 effort to work with other groups and improve their
11 estimates over time. And as you will get to
12 later, I guess, the -- the main emphasis for going
13 to Qualark in late 2000 was really to try and tie
14 down this issue of accuracy of the estimate and
15 whether we can account for some of the repeated
16 sort of differences in numbers that people talk
17 about.

18 Q Okay. And one other problem that's been
19 identified at Mission is the impact of pinks co-
20 migrating with sockeye. Can you give us some
21 information on that?

22 MR. LAPOINTE: Sure, that's correct. And we've already
23 touched on this a few times, I guess, even when --
24 I think the first time I was here perhaps in
25 October or November. But there's two components
26 of this. The most important one to focus on is
27 the -- is the sampling of the -- of the species
28 that are migrating by. And we use test fisheries
29 to obtain the sample. And what we've noticed with
30 pink salmon, and it became very obvious in 2005
31 where we feel like we probably had a fairly
32 significant bias in Mission during our in-season
33 period, is that the test fishery that we use, and
34 I'm speaking specifically about the Whonnock test
35 fishery now, tends to catch a disproportionate
36 number of sockeye relative to the overall
37 migration of sockeye plus pink. Likely, that's
38 due to differences in where these fish travel.
39 Pinks tend to be quite near shore, sockeye more in
40 the mid-channel areas, and this test fishery at
41 Whonnock is more of a mid-channel sampling test
42 fishery.

43 The second component that's not discussed too
44 much but we may get into a little bit more when we
45 talk about other tools, is that pink salmon,
46 because they are shore-oriented and they can be
47 quite abundant, you know, something like, you

1 know, 15, 20 million runs are not uncommon of
2 which a fairly significant fraction of that would
3 end up in the Fraser River, they can, with the
4 split-beam technology really swamp the technology
5 in some ways, almost overwhelm the ability to
6 discern individual targets. If you're looking at
7 a signal from this kind of equipment, it would
8 almost look like a complete black screen in some
9 cases when the pinks are very abundant. So that
10 means that there would be a tendency to have a low
11 bias in the total salmon because the pinks would
12 not be estimated that accurately.

13 But a high bias in the proportion of sockeye
14 -- the high bias in the proportion of sockeye is
15 what created the problem in 2005. And 2005 was an
16 extreme case because of the extraordinary lateness
17 of the sockeye run and also the early upstream
18 migration of pinks; they seemed to be doing
19 something similar to late-run sockeye. So it's
20 the combination of the sampling, which you want to
21 be representative of the overall migration that
22 comes from the test fishery, and the acoustic
23 challenges that pinks pose that give us a
24 challenge on pink years, let's say.

25 Q And that problem, you described as being
26 particularly bad in 2005?

27 MR. LAPOINTE: Yes, it was extraordinarily bad for the
28 reasons I just -- just described in terms of the
29 overlap in the two species.

30 Q And in 2007, did it continue to be a problem?

31 MR. LAPOINTE: You know, in 2007 and 2009, we managed
32 to kind of finesse a solution that we have used
33 historically to estimate the sockeye and, that is,
34 to use the test fishery. You know, prior to 2005
35 and continuing since then, as I say, 2007, 2009,
36 what we've used is the -- related the catch of
37 sockeye in the test fishery to the abundance of
38 sockeye at Mission prior to when the pinks show
39 up, so to get that ratio of how many fish are
40 associated with a particular size catch, how many
41 fish in the total migration, how many sockeye.
42 And that was used very successfully up until 2005
43 when there really wasn't a good strong period of
44 abundant sockeye migration before the pinks showed
45 up, that they basically showed up at the same time
46 so we couldn't use that method in 2005.

47 But in 2007 and 2009, we did use that method

1 and it seems to have come out okay. I guess I
2 would just say because people will know,
3 especially about 2009, is that those were both two
4 very low sockeye run years, very low, a million-
5 and-a-half. I think '07 was in the same range.
6 And so in that situation, you're not likely to
7 over-sample the sockeye with a test fishery in the
8 middle of the channel because there aren't many to
9 begin with. So I wouldn't suggest that the -- the
10 fact that we were able to, you know, finesse the
11 method and use the historical approach in 2007 and
12 2009 is kind of like we've got it solved. I think
13 it just happened to work out because there was a
14 low abundance of sockeye. So we're looking at
15 other ways around this issue and we can maybe talk
16 about those a little bit later, if we get into
17 that issue.

18 Q I'm going to --

19 DR. RIDDELL: Could I just add something?

20 Q Yeah.

21 DR. RIDDELL: I mean I think just for clarification,
22 what Mike is really talking about is the -- you
23 have annual variation because the Fraser sockeye
24 abundance is in the cycles and that. Now, '09 was
25 very exceptionally low and that was different from
26 the expected cycle year but '08 was not and that
27 was a low cycle year. And the major difference
28 that really caused a lot of problems in recent
29 years has been the earlier run timing of pink that
30 then overlap with the later run -- or the late
31 portion of the summer sockeye and the beginning of
32 -- well, right through the fall sockeye --

33 MR. LAPOINTE: Yeah, thanks, Brian, that's great.

34 DR. RIDDELL: -- the late run. So you've got really
35 two factors that the Commission really has to sort
36 out. One is the abundance of sockeye that has a
37 couple of reasons between years and the other is
38 the recently abnormal run timing of pink salmon.
39 And now, we could be looking at just enormous runs
40 like '09 and expected for 2011 should be very big
41 again.

42 Q Right. And have there been any solutions worked
43 out for what's expected in 2011?

44 MR. LAPOINTE: Well, I received the forecast document
45 in my email today and it was received under the
46 agreement of confidentiality because it's subject
47 to review at the PSARC meeting on February 4th.

1 So I'm not sure what the protocol is for divulging
2 that at this particular forum but I have seen a
3 number. The reason Brian is suggesting it would
4 be large is that there is a number out there
5 that's the juvenile out migration estimate from
6 2010 and it was somewhere in the order of billion
7 fry, which was not double the previous largest but
8 it was -- I think the previous largest was 600
9 million so...

10 Q This is pinks you're talking about?

11 MR. LAPOINTE: We're talking about pinks, sorry. Thank
12 you. Yes, we're talking about pink salmon. So
13 Brian's intuition about the potential for large
14 forecasts comes from that very large out migration
15 of the juveniles.

16 Q Right. So are you anticipating a problem then
17 with the species composition issue at Mission this
18 year?

19 MR. LAPOINTE: We anticipate having to address the
20 problem again this year and we're trying to put
21 some programs in place -- and I think that's what
22 you were starting to ask me but I'm not sure -- to
23 try to -- try to address it.

24 Q Yeah, so is fish wheels a project that is designed
25 to address species composition?

26 MR. LAPOINTE: It wasn't specifically designed as that,
27 as its sole purpose, but it is an option and so...

28 Q How does that work?

29 MR. LAPOINTE: Well, the issue is -- the solution to
30 this in terms of the conceptual solution is quite
31 -- quite obvious. And what it's going to involve
32 is what we call a stratified sampling approach.
33 And what I mean by that is it's -- since we
34 understand from our test fisheries that the
35 sockeye and the pinks are not distributed evenly
36 across the river, that it makes sense to have
37 samples of the species composition from the shore
38 separate from the channel. So that's the idea of
39 a stratified sample, talking about stratified and
40 space across the river channel. And similarly
41 match that up with stratified samples of the
42 acoustics from our acoustic estimation. Now, it
43 just so happens that our acoustic estimation has
44 already got a built-in stratification. We have a
45 system on each shore and a system in the channel.
46 So that part is well -- well looked after. The
47 challenge is to come up with a stratified sampling

1 of the species composition of which the fish wheel
2 provided an opinion for the shore-based sampling
3 of the species composition.

4 So the projects that we've talked about and,
5 in fact, even implemented as a pilot in '09 were
6 be to use the fish wheel as the shore-based
7 sampler and Whonnock as the channel sampler for
8 species composition. And we actually developed an
9 estimate of pink salmon escapement in 2009 based
10 on that method and actually came out to a number
11 that -- well, it was about 15 million pink salmon,
12 which happened to match up with the run-size
13 estimate from the test fishing less the catch so
14 because they agree, of course, we believe they're
15 probably both right but that may not be true.

16 And the other method that we're talking about
17 and have already tried, although we haven't had
18 the test fishery operate for a long enough period
19 yet, is to use a test fishery at the Mission site
20 itself. We've engaged Sumas First Nation to do
21 set nets near the short for the shore-based part
22 of the species composition and then a drift
23 gillnet upstream of Mission for the channel.

24 So those are the two kind of ideas we have
25 for the species composition and the stratified
26 sampling.

27 Q And I have a note here about near-shore estimates
28 using DIDSON. Is that the system that you already
29 described when you said you have a system on the
30 shore and a system in the centre?

31 MR. LAPOINTE: No, that relates to the second part of
32 the pink salmon challenge that we have, this issue
33 of saturating the split-beam.

34 Q Mm-hmm?

35 MR. LAPOINTE: Turns out the DIDSON seems to be quite
36 robust -- quite a bit more robust in terms of the
37 -- the volume of fish that can be -- can be passed
38 in the DIDSON without creating a problem with the
39 estimation and we know this from our work at
40 Mission and we also know from the work at Qualark,
41 which has had a DIDSON the last three years, that
42 the daily abundances -- and I won't be able to
43 remember the maximum daily abundance off the top
44 of my head, but you know, closer to a million fish
45 per day seemed to be able to go past these --
46 these systems -- and remember, they're going to be
47 split in two because there's one on each bank --

1 seemed to be -- be able to be handled. I mean
2 it's tiring for the -- for the folks that are
3 doing the estimation because they're actually
4 physically clicking through some of these counts.
5 But -- but it looks from a technology perspective,
6 that's a real advantage that the DIDSON, among
7 others, will offer us in solving this problem.

8 Q Okay. Is it fair to say that where we sit today
9 that Mission doesn't provide a reasonable
10 assessment of sockeye when pink salmon are there?
11 I mean it doesn't sound like the problem's been
12 completely solved.

13 MR. LAPOINTE: I mean I think it's sort of a yes-and-no
14 answer. There are certain conditions, and Brian
15 was helpful in bringing these up, related to the
16 relative abundance of sockeye and pinks when it's
17 going to be more of a challenge and when the pinks
18 come in early where it's going to be more of a
19 challenge than others. But we have three years,
20 you know, just take the most recent three years.
21 2005 clearly very significant problem in Mission,
22 you know, documented in our annual report, already
23 come up in evidence already. We've talked about
24 it. 2007 and 2009, you know, seems like we did
25 reasonably okay. So it's fair to say that the
26 problem definitely has not been solved. I think
27 that's -- but can we say every year it will be a
28 problem? It will depend upon what the fish --
29 what the fish do to us, I guess.

30 Q And what about you, Dr. Riddell? Do you agree
31 that while there was -- there are some problems,
32 it's -- we can still get reasonable estimates of
33 sockeye at Mission when pink salmon are in the
34 water?

35 DR. RIDDELL: Well, I think that -- well, Mike referred
36 to the fish wheel as not really being one of the
37 target benefits of doing that but there are a
38 number of spin-offs from the Qualark program
39 linked with the fish wheels and that. And I think
40 that by actually investigating all the data that
41 we have at the same time, the Commission has
42 certainly found ways that, as Mike said, stratify
43 the river, use other tools to get your best
44 estimate, in particular strata, and then put that
45 back together. We've only been able to really do
46 that because we've had other people working with
47 the Commission now using new tools and trying to

1 verify some of these things. So I think we'll be
2 able to build on that and we'll be able to do a
3 better job because the tools that we have looked
4 at, particularly in post-season, really did fit
5 quite well for 2007 and 2009.

6 Q All right. And just one last question on the
7 pinks and then I think we'll stop for the day.
8 What are the -- we've, of course, heard many times
9 about the four run-timing groups in the sockeye
10 system. Which of those run-timing groups are
11 impacted by the co-migration of pinks?

12 MR. LAPOINTE: Primarily up until recent -- up until
13 the pinks started coming in early was the Late
14 run. But now certainly the Summer run and the
15 Late run for sure and in some years if it's a very
16 large pink run and they're very early, the back
17 half of the early summer can also be impacted by
18 this problem. The later part of -- later -- later
19 time prior to the Early Summers, I should say.

20 Q So on pink years, it's a very significant portion
21 of the sockeye --

22 MR. LAPOINTE: If the pink's --

23 Q -- run that's impacted?

24 MR. LAPOINTE: If the pinks migrate upstream early, it
25 can impact, you know, almost all the run groups
26 except for Early Stuart.

27 MS. BAKER: Okay. If it's convenient, I'll stop there
28 for today.

29 THE REGISTRAR: The hearing is now adjourned for the
30 day and will resume at ten o'clock.

31
32 (PROCEEDINGS ADJOURNED TO JANUARY 27, 2011,
33 AT 10:00 A.M.)
34
35
36
37
38
39
40
41
42
43
44
45
46
47

1 I HEREBY CERTIFY the foregoing to be a
2 true and accurate transcript of the
3 evidence recorded on a sound recording
4 apparatus, transcribed to the best of my
5 skill and ability, and in accordance
6 with applicable standards.
7

8
9 _____
10 Pat Neumann
11 Registered Court Transcriber
12

13 I HEREBY CERTIFY the foregoing to be a
14 true and accurate transcript of the
15 evidence recorded on a sound recording
16 apparatus, transcribed to the best of my
17 skill and ability, and in accordance
18 with applicable standards.
19

20
21 _____
22 Susan Osborne
23 Registered Court Transcriber
24

25 I HEREBY CERTIFY the foregoing to be a
26 true and accurate transcript of the
27 evidence recorded on a sound recording
28 apparatus, transcribed to the best of my
29 skill and ability, and in accordance
30 with applicable standards.
31

32
33 _____
34 Diane Rochfort
35 Registered Court Transcriber
36

37 I HEREBY CERTIFY the foregoing to be a
38 true and accurate transcript of the
39 evidence recorded on a sound recording
40 apparatus, transcribed to the best of my
41 skill and ability, and in accordance
42 with applicable standards.
43

44
45 _____
46 Karen Acaster
47 Registered Court Transcriber