

Commission of Inquiry into the Decline of
Sockeye Salmon in the Fraser River



Commission d'enquête sur le déclin des
populations de saumon rouge du fleuve Fraser

Public Hearings

Audience publique

Commissioner

L'Honorable juge /
The Honourable Justice
Bruce Cohen

Commissaire

Held at:

Room 801
Federal Courthouse
701 West Georgia Street
Vancouver, B.C.

Wednesday, April 20, 2011

Tenue à :

Salle 801
Cour fédérale
701, rue West Georgia
Vancouver (C.-B.)

le mercredi 20 avril 2011

APPEARANCES / COMPARUTIONS

Wendy Baker, Q.C. Maia Tsurumi	Associate Commission Counsel Junior Commission Counsel
Mitchell Taylor, Q.C. Jonah Spiegelman	Government of Canada ("CAN")
Clifton Prowse, Q.C.	Province of British Columbia ("BCPROV")
No appearance	Pacific Salmon Commission ("PSC")
No appearance	B.C. Public Service Alliance of Canada Union of Environment Workers B.C. ("BCPSAC")
No appearance	Rio Tinto Alcan Inc. ("RTAI")
No appearance	B.C. Salmon Farmers Association ("BCSFA")
No appearance	Seafood Producers Association of B.C. ("SPABC")
No appearance	Aquaculture Coalition: Alexandra Morton; Raincoast Research Society; Pacific Coast Wild Salmon Society ("AQUA")
Tim Leadem, Q.C.	Conservation Coalition: Coastal Alliance for Aquaculture Reform Fraser Riverkeeper Society; Georgia Strait Alliance; Raincoast Conservation Foundation; Watershed Watch Salmon Society; Mr. Otto Langer; David Suzuki Foundation ("CONSERV")
Don Rosenbloom	Area D Salmon Gillnet Association; Area B Harvest Committee (Seine) ("GILLFSC")

APPEARANCES / COMPARUTIONS, cont'd.

No appearance	Southern Area E Gillnetters Assn. B.C. Fisheries Survival Coalition ("SGAHC")
Christopher Harvey, Q.C.	West Coast Trollers Area G Association; United Fishermen and Allied Workers' Union ("TWCTUFA")
Keith Lowes	B.C. Wildlife Federation; B.C. Federation of Drift Fishers ("WFFDF")
No appearance	Maa-nulth Treaty Society; Tsawwassen First Nation; Musqueam First Nation ("MTM")
John Gailus	Western Central Coast Salish First Nations: Cowichan Tribes and Chemainus First Nation Hwlitsum First Nation and Penelakut Tribe Te'mexw Treaty Association ("WCCSFN")
Brenda Gaertner Leah Pence	First Nations Coalition; First Nations Fisheries Council; Aboriginal Caucus of the Fraser River; Aboriginal Fisheries Secretariat; Fraser Valley Aboriginal Fisheries Society; Northern Shuswap Tribal Council; Chehalis Indian Band; Secwepemc Fisheries Commission of the Shuswap Nation Tribal Council; Upper Fraser Fisheries Conservation Alliance; Other Douglas Treaty First Nations who applied together (the Snuneymuxw, Tsartlip and Tsawout); Adams Lake Indian Band; Carrier Sekani Tribal Council; Council of Haida Nation ("FNC")
No appearance	Métis Nation British Columbia ("MNBC")

APPEARANCES / COMPARUTIONS, cont'd.

Tim Dickson	Sto:lo Tribal Council Cheam Indian Band ("STCCIB")
No appearance	Laich-kwil-tach Treaty Society Chief Harold Sewid, Aboriginal Aquaculture Association ("LJHAH")
No appearance	Musgamagw Tsawataineuk Tribal Council ("MTTC")
Lisa Fong	Heiltsuk Tribal Council ("HTC")

TABLE OF CONTENTS / TABLE DES MATIERES

	PAGE
PANEL NO. 29	
RANDALL PETERMAN (Affirmed)	
In chief on qualifications by Ms. Baker	3
Ruling on qualifications	4
In chief by Ms. Baker	7/14
Cross-exam by Mr. Spiegelman	41/43/47/49
Cross-exam by Mr. Leadem	51/57/62/68/69
Questions by the Commissioner	70
Cross-exam by Mr. Harvey	72/85/89
BRIGITTE DORNER (Affirmed) (via teleconference)	
In chief on qualifications by Ms. Baker	5
Ruling on qualifications	6
In chief by Ms. Baker	14
Cross-exam by Mr. Spiegelman	43/47/49
Cross-exam by Mr. Leadem	51/62/68/69
Cross-exam by Mr. Harvey	89

EXHIBITS / PIECES

<u>No.</u>	<u>Description</u>	<u>Page</u>
PPR10	Overview of Fraser River Sockeye Salmon Net and Gross Escapement Data, April 1, 2011	1
176	<i>Curriculum vitae</i> of Heather Stahlberg (replacement, personal information redacted)	2
748	Cohen Commission Technical Report 10 - Fraser River Sockeye Production Dynamics, February 2011	2
749	<i>Curriculum vitae</i> of Randall M. Peterman, February 9, 2011	5
750	<i>Curriculum vitae</i> of Brigitte Dorner	6

1 Vancouver, B.C. /Vancouver
2 (C.-B.)
3 April 20, 2011/le 20 avril
4 2011
5

6 THE REGISTRAR: Order. The hearing is now resumed.

7 MS. BAKER: Good morning, Mr. Commissioner. Today we
8 have Project 10 being tendered and Dr. Randall
9 Peterman and Dr. Brigitte Dorner are here to
10 testify. But before we get started with that,
11 there's two housekeeping matters.

12 The first one is the marking of the Policy
13 and Practice Report that was circulated to all
14 participants on April 1, and it is titled
15 "Overview of Fraser River Sockeye Salmon Net and
16 Gross Escapement Data", and so I'd like that
17 marked, please as the next PPR.

18 THE REGISTRAR: That will be PPR number 10.

19
20 PPR10: Overview of Fraser River Sockeye
21 Salmon Net and Gross Escapement Data, April
22 1, 2011
23

24 MS. BAKER: Thank you. And then Mr. Taylor has a
25 correction to make with one of the exhibits marked
26 earlier.

27 MR. TAYLOR: Mr. Commissioner, this deals with Exhibit
28 176, and I believe you would have two copies of
29 that. It is the c.v. of Heather Stahlberg on your
30 desk there, one marked "Old", one marked "New".
31 With the Commission counsel's cooperation and
32 other participants' cooperation, we have generally
33 been putting in c.v.s with personal information
34 redacted. And by that I mean their home address,
35 home phone number, and that sort of thing, which
36 invariably is at the top of the c.v.

37 The c.v. of Heather Stahlberg got in as
38 Exhibit number 176 with her personal information
39 there. And the proposal, and this has been
40 circulated to Commission counsel and all
41 participants, is to take Exhibit 176, which has
42 her personal information, you can see it at the
43 top, and take that exhibit out, and instead put in
44 the copy which should be with you marked "New",
45 which you can see has three points of redaction,
46 which are the pieces of personal information, the
47 work phone number is left in, and it is otherwise

1 exactly the same document. And so I am seeking
2 leave to take out the old and put in the new as
3 the Exhibit 176 going forward, and the
4 Commission's website would be amended accordingly.

5 THE COMMISSIONER: Yes, thank you very much, Mr.
6 Taylor.

7 MR. TAYLOR: All right, thank you. So I can take it
8 that we have a new --

9 THE COMMISSIONER: Yes.

10 MR. TAYLOR: -- Exhibit 176.

11
12 EXHIBIT 176: *Curriculum vitae* of Heather
13 Stahlberg (replacement with personal
14 information redacted)
15

16 MR. TAYLOR: Thank you. And that is it. And with
17 that, when it comes time -- I forgot to introduce
18 myself, Mitchell Taylor, and with me is Jonah
19 Spiegelman, and Mr. Spiegelman will be the counsel
20 examining the witness when it comes to that today.

21 MS. BAKER: Thank you. And for the record it's Wendy
22 Baker for the Commission, and with me is Maia
23 Tsurumi.

24 So we are dealing with Project 10 today, and
25 as I identified, I would like that project to be
26 marked as the next exhibit, and then we will go
27 through and have the witnesses sworn, and go
28 through their qualifications, if I could.

29 THE REGISTRAR: That will be marked as Exhibit number
30 748.

31
32 EXHIBIT 748: Cohen Commission Technical
33 Report 10 - Fraser River Sockeye Production
34 Dynamics, February 2011
35

36 MS. BAKER: Thank you. Could the witnesses be sworn.

37 THE REGISTRAR: Good morning, witnesses.

38 THE COMMISSIONER: Microphone, Mr. -- there you go.

39
40 RANDALL PETERMAN, affirmed:

41
42 BRIGITTE DORNER, affirmed:
43

44 THE REGISTRAR: Mr. Peterman, would you state your
45 name, please.

46 DR. PETERMAN: Randall Peterman.

47 THE REGISTRAR: Dr. Dorner, would you state your name.

3

PANEL NO. 29

In chief on qualifications by Ms. Baker

1 DR. DORNER: Brigitte Dorner.

2 THE REGISTRAR: Thank you. Counsel.

3 MS. BAKER: Thank you.

4

5 EXAMINATION IN CHIEF ON QUALIFICATIONS BY MS. BAKER:

6

7 Q We have provided c.v.s for both witnesses to all
8 parties, and I would like to go through those
9 first. So the first one is the c.v. for Randall
10 Peterman. Thank you. This has a date on it,
11 February 9, 2011, and I would like to just review
12 with you, you currently are the Canada Research
13 Chair in Fisheries Risk Assessment and Management
14 at Simon Fraser University; is that right?

15 DR. PETERMAN: Yes.

16 Q And you have a Ph.D. in Zoology from the
17 University of British Columbia?

18 DR. PETERMAN: Yes.

19 Q Your c.v. is extensive and I am not going to
20 obviously take you through all of the papers and
21 articles and other publications and work that's
22 set out in your c.v., but I would like to
23 highlight some that are relevant to what we're
24 talking about today. You're an author of a
25 publication entitled "Cycles, stochasticity, and
26 density dependence in pink salmon population
27 dynamics" that was published in 2010?

28 DR. PETERMAN: Yes.

29 Q You are also an author of an article entitled
30 "Historical trends in productivity of 120 Pacific
31 pink, chum, and sockeye salmon stocks
32 reconstructed by using a Kalman filter", also
33 published in 2008?

34 DR. PETERMAN: Yes.

35 Q Also in 2008 you're an author of an article
36 entitled "Uncertainties in population dynamics and
37 outcomes of regulations in sockeye salmon
38 (*Oncorhynchus nerka*) fisheries; implications for
39 management"?

40 DR. PETERMAN: Yes.

41 Q 2007, an article entitled "Recruitment and
42 survival of Northeast Pacific Ocean fish stocks:
43 temporal trends, covariation and regime shifts"?

44 DR. PETERMAN: Yes.

45 Q You have done work on the "Use of the Kalman
46 filter to reconstruct historical trends in
47 productivity of Bristol Bay sockeye salmon"?

April 20, 2011

4

PANEL NO. 29

In chief on qualifications by Ms. Baker

Ruling on qualifications

1 DR. PETERMAN: Yes, that's right.

2 Q You have also -- and that's an article that was
3 done in 2003.

4 DR. PETERMAN: Yes.

5 Q Back in 1995 you and Carl Walters and Mr. Korman
6 did an article entitled "Empirical and theoretical
7 analyses of correction of time series bias in
8 stock-recruitment relationships of sockeye
9 salmon"?

10 DR. PETERMAN: Yes.

11 Q You have prepared a paper in a refereed conference
12 proceedings titled "Pacific Salmon Environment and
13 Life History Models"?

14 DR. PETERMAN: Yes.

15 Q And that was in 2009.

16 DR. PETERMAN: Yes.

17 Q And in fact, Dr. Dorner was a co-author on that?

18 DR. PETERMAN: Yes, that's right.

19 Q You also did a paper in a refereed conference
20 entitled "Evaluation of methods to reliably track
21 changes in productivity of fish populations that
22 arise from climatic change".

23 DR. PETERMAN: Yes.

24 Q That was in 2004.

25 DR. PETERMAN: Yes, that's right.

26 Q And back in 1991 you did a similar paper for a
27 conference, a refereed conference, "Density-
28 dependent marine processes in North Pacific
29 salmonids: Lessons for experimental design of
30 large-scale manipulations of fish stocks."

31 DR. PETERMAN: Yes.

32 Q You have many other articles and relevant pieces
33 of work which I'm not going to take you to. I
34 will just note that you have provided advice to
35 the Department of Fisheries and Oceans, correct?

36 DR. PETERMAN: Yes, that's right.

37 Q The Pacific Salmon Commission.

38 DR. PETERMAN: Yes.

39 Q The regulatory bodies in Alaska and in Washington
40 with respect to fish management.

41 DR. PETERMAN: Yes, that's right.

42 MS. BAKER: Mr. Commissioner, I'd like Dr. Peterman to
43 be qualified as a Fisheries Biologist with
44 expertise in fish population dynamics and ecology
45 and risk assessment.

46 THE COMMISSIONER: I don't see anyone wishing to cross-
47 examine him on those credentials, so he shall be

April 20, 2011

5

PANEL NO. 29

In chief on qualifications by Ms. Baker

1 so qualified. Thank you, Ms. Baker.

2 MS. BAKER: Thank you. Now I'd like that c.v. marked,
3 please as an exhibit.

4 THE REGISTRAR: Exhibit number 749.

5 MS. BAKER: Thank you.

6

7 EXHIBIT 749: *Curriculum vitae* of Randall M.
8 Peterman, February 9, 2011

9

10 MS. BAKER: And then Dr. Dorner, I'd like to turn to
11 your c.v. Do you have that, Mr. Lunn?

12 MR. LUNN: Yes. I'm bringing it up.

13 MS. BAKER: Okay, thank you.

14 Q Dr. Dorner, you have a Ph.D. --

15 THE COMMISSIONER: Excuse me, Ms. Baker. Is it
16 possible to have Dr. Dorner on the screen along
17 with the c.v., or is that --

18 MR. LUNN: Yes, I'll see.

19 THE COMMISSIONER: That's great. Thank you very much.

20 MS. BAKER: Wonders of computers.

21 Q Dr. Dorner, you have a Ph.D. in Resource and
22 Environmental Management from Simon Fraser
23 University?

24 DR. DORNER: Yes.

25 Q And you have worked with Dr. Peterman over many
26 years in fisheries matters; is that correct?

27 DR. DORNER: That's correct, yes.

28 Q All right. And your experience includes working
29 with dynamics in management of Pacific salmon,
30 including comparative analysis of time trends and
31 productivity?

32 DR. DORNER: That's right, yes.

33 Q And you identify on your c.v. a number of software
34 development projects, which would include NCEAS,
35 which is the salmon-and-climate-change model.
36 This is a simulation model for exploring the
37 relative abilities of alternative salmon
38 monitoring strategies to detect and track climate-
39 induced and human-induced changes in salmon
40 productivity.

41 DR. DORNER: Yes.

42 Q You also have worked on a development tool
43 entitled CLIM2, which is a closed-loop management
44 strategy evaluation of Pacific salmon dynamics and
45 management?

46 DR. DORNER: Yes.

47 Q You have also published a number of articles that

April 20, 2011

1 are relevant to the work you've done on this
2 report, including in 2009 an "Evaluation of
3 performance of alternative management models of
4 Pacific salmon (*Oncorhynchus* spp.) in the presence
5 of climatic change and outcome uncertainty using
6 Monte Carlo simulations"?

7 DR. DORNER: Yes.

8 Q In 2009 you and Dr. Peterman were both authors of
9 a paper titled "Statistical models of Pacific
10 salmon that include environmental variables"?

11 DR. DORNER: Yes.

12 Q And in 2008 you and Dr. Peterman were both authors
13 of a paper titled "Historical trends in
14 productivity of 120 Pacific pink, chum, and
15 sockeye salmon stocks reconstructed by using a
16 Kalman filter".

17 DR. DORNER: Yes.

18 Q And your work includes working with statistics and
19 simulation modelling; is that correct?

20 DR. DORNER: That's right, yes.

21 Q And reviewing various quantitative methods in
22 analyzing fisheries?

23 DR. DORNER: That's right, yes.

24 MS. BAKER: I'm not going to take you through all of
25 the work set out in your c.v. but, Mr.
26 Commissioner, I ask that Dr. Dorner be qualified
27 as an expert as an Ecologist and an expert in
28 quantitative methods and statistics in simulation
29 modelling.

30 THE COMMISSIONER: Yes, again seeing no one wishing to
31 cross-examine, I will qualify her in those fields.

32 MS. BAKER: Thank you. If I could have her c.v. marked
33 as the next exhibit.

34 THE COMMISSIONER: That c.v. will be marked as Exhibit
35 number 750.

36

37 EXHIBIT 750: *Curriculum vitae* of Brigitte
38 Dorner

39

40 MS. BAKER: Mr. Commissioner, for my questions, Dr.
41 Peterman will be taking the lead and Dr. Dorner
42 will jump in where she feels that she's got some
43 additional points to add, and then for the
44 questions from the participants, they will answer
45 those questions as directed or as they feel they
46 can best be answered. So I will start with Dr.
47 Peterman.

1 EXAMINATION IN CHIEF BY MS. BAKER:
2

3 Q First, just to overview the purpose of your
4 report, you identify in the "Executive Summary"
5 that your report presents data and analyses to
6 assist in contributing to our understanding of the
7 possible causes of reduced abundance and
8 productivity of Fraser River sockeye.

9 DR. PETERMAN: Yes, that's right. We were asked to
10 compile data on sockeye populations along the West
11 Coast to compare them with the trends in Fraser
12 sockeye.

13 Q And as you have just identified, your focus was on
14 productivity trends, not only in the Fraser but
15 also in the Pacific Northwest, including
16 Washington and Alaska?

17 DR. PETERMAN: That's right. We collected data on 64
18 different populations, ranging from Washington up
19 through Western Alaska, and we estimated some
20 changes in productivity. Nineteen of these stocks
21 were from the Fraser River.

22 Q Right. And if we can then please turn, Mr. Lunn,
23 to page 15, Figure 1. This is a map that shows
24 where the populations were located. All right.
25 So did you want to review...

26 DR. PETERMAN: Yes. So you can see the solid dots
27 there are the ocean entry points for the juveniles
28 as they migrate to the sea from the freshwater
29 habitat. And starting with number 1, that's Lake
30 Washington. And the Fraser River stocks are
31 numbers 2 through 20, and we went up through the
32 West Coast of Vancouver Island, 21-22, Northern
33 B.C., or Central and Northern B.C., Skeena and
34 Nass, and 26-27, and then on out to Western
35 Alaska.

36 Q Thank you. Productivity is a key term in your
37 report, and I think it would be helpful if you
38 could explain what you mean when you refer to the
39 word "productivity".

40 DR. PETERMAN: Yes, okay. Well, before I do that, I
41 should just point out that we gathered data from
42 all these populations going back to as far as
43 1950, and for the Fraser stocks and for the
44 Bristol Bay stocks, we had almost 50 years of data
45 for each of them. For the populations, they
46 generally tended to be shorter datasets, 25 to 35
47 years.

1 I should point out also we did not have data
2 for 2010, because they were not available at the
3 time we finished this analysis.

4 So you asked about the measures of...

5 Q What is productivity.

6 DR. PETERMAN: Oh, what is productivity, right. Well,
7 productivity is simply a measure of how successful
8 parents are at producing offspring that mature to
9 come back to the coast, and it's analogous to the
10 what you might think of in business, where you've
11 got measures of productivity that are commonly
12 produced for manufacturing plants, for instance,
13 so many cars produced per worker per week. That's
14 a measure of productivity.

15 Q And in the work that you did for this report, how
16 did you measure productivity? What measures of
17 productivity did you use?

18 DR. PETERMAN: We had three of them, and I'll just list
19 them first and then I'll explain them. So they
20 were the recruits per spawner, so adult return to
21 the coast prior to onset of fishing, produced per
22 spawner. Another was what we call the residuals
23 from what we might expect in the way of recruits
24 per spawner, and then the third was a measure of
25 productivity called the Kalman filter. And let me
26 explain those now.

27 So the first measure, number of adult returns
28 per spawner is shown in Figure 2. So if, Mr.
29 Lunn, you could bring that up, please. It's on
30 page 22. So on the left side, if we could just
31 see the left axis there, please. Right.

32 So what we have on the left side is an
33 example for the Quesnel Lake stock. The type of
34 data we received from all the agencies, that's the
35 total number of spawners, "S" in red, over time,
36 and then the total number of adult recruits that
37 were produced by those spawners in blue triangles.
38 So for each of the populations we had this time
39 series, and as I said, the time series differed in
40 length, depending on which population you had, but
41 for the Fraser they were about this long for
42 almost all of them.

43 The next, to the right, shows you the measure
44 of productivity that I'll talk about first, which
45 is recruits per spawner. So it's simply dividing
46 the total of adult recruits by the number of
47 spawners that produced them. And what you can see

1 there for the Quesnel is that there's been the
2 decreasing productivity of recruits per spawner
3 since the 1980s.

4 Okay. And then the second measure is the
5 residuals in recruits per spawner -- we can keep
6 on this figure. And so what that residuals
7 measure is, it's what is left over from fitting a
8 Ricker model or a Larkin model. I understand that
9 you've heard about the Ricker model and the Larkin
10 model in the past, as ways of describing
11 quantitatively the number of adults produced. And
12 so what you do for each population like the
13 Quesnel here, is you fit the data of recruits as a
14 function of spawners, and that allows you to then
15 remove the effect of spawner abundance, and what
16 is left over is the environmental effect.

17 So again with the factory analogy, we've got
18 so many cars produced per worker per week. Some
19 weeks are better than others. You have more cars
20 produced because of certain increase in
21 efficiencies or decrease in inefficiencies one
22 week to the next. Those decreases from what you
23 would expect from the long-term average are the
24 residuals in productivity.

25 So if we can go to figure 3(a), please, we
26 can look at an example of these residuals, and
27 that's page 26. Great. So if we just look at the
28 left-hand one, please.

29 Okay. So what I show here on the bottom are
30 a couple of the highly variable lines, the red and
31 grey lines, and the red pluses are the residuals
32 from fitting the Ricker model. You can see that
33 in the label up above there. So this is the time
34 series showing some years where there's an above-
35 zero number, greater than expected productivity,
36 and when it falls below the zero line, it's less
37 than expected productivity. And what is expected
38 again is what is based on the fit of the Ricker
39 model.

40 We also did the same thing for the Larkin
41 model, which you remember includes a delayed
42 density-dependent effect across generations of
43 spawners, and that shows a very similar trend in
44 this case to the Ricker model, except for the
45 years past about 1993, and we'll come back to that
46 later on.

47 So in a sense these residuals show you the

1 effects of environmental processes independent of
2 the spawner abundance processes, so the conditions
3 are more favourable in some years than others, as
4 you can see.

5 The third estimate is the Kalman filter
6 estimate, and that's shown in the top two lines in
7 this figure, the blue triangles and the solid red
8 dots. So again the red is from the Ricker model
9 and the blue is from the Larkin model. Both of
10 these were fit with what's called a Kalman filter,
11 which just removes some of the high frequency
12 variation, the noise, if you will, and it tries to
13 extract the underlying trend. And the long term
14 underlying trend is what's really most important
15 to the fisheries managers, the users of fish, and
16 the general public.

17 So what we want to do with this third measure
18 is to remove the sources of noise to get at that
19 underlying trend. And as you can see, the
20 underlying time trend is much clearer in the
21 Ricker case, the solid red dots, than the red
22 pluses in the series below. And the same thing
23 with the Kalman filter Larkin model results, which
24 are the blue triangles. It's a much smoother
25 trend, clearer trend, than what you get with the
26 grey Xs down below, which are the residuals.

27 So those are our three measures of
28 productivity: recruits per spawner, residuals
29 from the expected value, and then the Kalman
30 filter values. We calculated all three measures
31 of productivity for all 64 populations.

32 Q All right. In your report you go through a
33 section describing the methods that you used in a
34 lot of detail, which I'm not going to take you to
35 today in any detail. I'm going to actually begin
36 today with reviewing the "Results and Discussion"
37 portion of your report, which begins on page 33.

38 DR. PETERMAN: Okay.

39 Q And the first sort of topic, I guess, is:

40
41 Evidence for delayed density-dependence and
42 the hypothesis that high spawner abundances
43 may be responsible for declines in Fraser
44 productivity.

45
46 So that was the task was to look for that
47 evidence. The first analysis that you discuss

1 relates to spawner and recruit abundances alone
2 without fitting any model, as I understand it.
3 For this analysis, did you look at all of the
4 Fraser River stocks and all of the other stocks,
5 the other, to make up the 64 you described, or did
6 you just look at data on Fraser River alone?

7 DR. PETERMAN: We just looked at the Fraser River, the
8 19 stocks.

9 Q All right. And in your first paragraph under the
10 heading, you refer to a paper from Walters et al.
11 Now, that paper has been marked as Exhibit 417 in
12 the proceedings, and I wonder if that can be made
13 available.

14 DR. PETERMAN: Well, I don't particularly need to refer
15 to it.

16 Q Oh, I just want to make sure that the Commissioner
17 knows which report we're talking about.

18 DR. PETERMAN: Oh, okay.

19 Q If we can just put that up and then take it away
20 again.

21 DR. PETERMAN: It's the one from the -- yes, that one
22 right there.

23 Q Yes.

24 DR. PETERMAN: Mm-hmm.

25 Q Okay. So this is a paper which was discussed by
26 Drs. Walters and Riddell earlier this year. I
27 think we can put that away now that we've
28 identified what it is. That paper is referenced
29 in your first paragraph. How did your work relate
30 to the work that was done earlier in Exhibit 417?

31 DR. PETERMAN: Well, we found the same thing as the
32 Walters et al 2004 paper. We particularly looked
33 for evidence of catastrophic decrease in abundance
34 subsequent to large spawning stocks. And just
35 like Walters et al 2004, we did not find much
36 evidence of that at all. In fact, we found that
37 the adult recruits came back in fewer numbers than
38 the number of spawners, that is, below
39 replacement, in only seven percent of the years
40 across all the 19 Fraser River stocks, all across
41 the 50 years approximately of the data.

42 So looking more closely at those cases where
43 the number of recruits did come back at fewer than
44 the number of spawners, none of those cases
45 followed an extremely large spawner abundance that
46 led to a chronic low abundance or a stock
47 collapse. So we came to the same conclusion then

1 qualitatively as the Walters et al on the basis of
2 a bit more data.

3 Q Right. Out of all the stocks that you reviewed,
4 did any individual stocks show a relationship
5 between high spawner abundance and low recruits?

6 DR. PETERMAN: Yes, but the relationships were
7 generally fairly weak.

8 Q And did you do any further statistical analysis in
9 addition to just looking at spawner recruit
10 abundance to determine whether there was a
11 relationship?

12 DR. PETERMAN: Yes, we did. So the analysis that I
13 just described simply looked at the time series of
14 data on spawners and recruits, and this next
15 analysis to look at delayed density-dependence was
16 based on fitting the Ricker and Larkin models
17 again, and comparing how well they describe the
18 data. Now, as you may recall from previous
19 hearings, the Larkin model includes the effect of
20 spawner abundance in one year -- pardon me. It
21 includes the effect of spawner abundance in
22 previous years on the productivity of offspring
23 from spawners in this year. So let me give you an
24 example.

25 So if you have a spawning population 1990,
26 then what the Ricker model does is it just looks
27 at the effect of spawner abundance in 1990 on the
28 productivity of that population, in other words,
29 the recruits per spawner is a function just of
30 those spawners in 1990. The Larkin model, though,
31 looks at the number of spawners in 1987, '88, '89
32 and '90 as possible contributors to changes in
33 productivity from the 1990 spawning.

34 So that's the conceptual difference between
35 the Ricker and Larkin model. So we fit those two
36 models separately to the data and what we found
37 was that the Larkin delayed density-dependence
38 hypothesis only appears relevant to the Quesnel
39 sockeye stock in the Fraser.

40 So if we could look at page 37, please, Mr.
41 Lunn, from line 10 in the middle paragraph down, I
42 think you'll see this described.

43 So that was the general conclusion, that it
44 really appears that the Larkin model was only
45 relevant to the Quesnel. There's a little more
46 subtlety to this, though. It turns out that for
47 the Chilko, Quesnel and Stellako stocks, the

1 Larkin Kalman filter model fits the data better
2 than does the Ricker model. However, for two of
3 those stocks, the Chilko and the Stellako, the
4 Larkin Kalman filter model still shows a
5 decreasing time trend over time in productivity,
6 just like the Ricker model does. So in other
7 words, they're coming to the same conclusion that
8 there's a decrease in productivity for the Chilko
9 and Stellako. So that means that there is some
10 factor or factors other than spawner abundance in
11 any of the years that's causing the productivity
12 to go down. Because the Larkin model takes into
13 account the effect of spawner abundance across
14 generations, but it still shows a decrease in
15 productivity in the last decade or so. So that
16 means something else is causing that decline.

17 So from a practical standpoint it does not
18 matter for these two stocks, Chilko and Stellako,
19 that the Ricker or Larkin model fits best, because
20 they actually describe the same time trend,
21 downward time trend in productivity. The only
22 exception then to this is the Quesnel stock, which
23 shows that there's no time trend in the
24 environmental factors.

25 So if we go back to figure 3(a), if you
26 wouldn't mind, that's on page...

27 Q 22.

28 DR. PETERMAN: 22?

29 Q 26.

30 DR. PETERMAN: 26. So what you see there, this is the
31 Kalman filter results at the top. You see that
32 the blue triangles for the Larkin model show that
33 the productivity has stayed more or less the same,
34 whereas the Ricker model, the red dots, shows it
35 going down since the 1980s. So what this is
36 saying is that the Larkin model, since it includes
37 cross-generation spawner abundance effects on
38 productivity, is able to explain what the Ricker
39 model was not able to do by just looking at
40 spawner abundance effects in a given generation.

41 So this means that for the Quesnel stocks
42 shown here, there is evidence that the cross-
43 generation effects of spawner abundance is
44 important, but it's only true for the Quesnel.
45 It's not true for any other Fraser sockeye
46 population.

47 Q And does that conclusion change your view on the

1 similarity of your results with the results found
2 by Walters et al in 2004?

3 DR. PETERMAN: Not really, no. I think qualitatively
4 the results are the same. It's just this one
5 stock is an exception. And we're asking the
6 question about evidence for delayed density-
7 dependence in two different ways in the two
8 analyses. One is a very simple-minded analysis
9 where it asks how often did the number of recruits
10 come back at fewer than their spawning population
11 parents? That was the first analysis I showed,
12 which is what the Walters et al 2004 paper did,
13 and we agree with them. And in this case we're
14 using a little more sophisticated way of asking,
15 is there evidence for delayed density-dependence
16 across generations of spawners. And frankly, I
17 would probably go with this source of evidence as
18 having more weight than the earlier evidence that
19 I just presented.

20 Q All right.

21 THE COMMISSIONER: Ms. Baker, I thought Dr. Dorner had
22 something she wanted to add, but I could be in
23 error on that.

24 DR. PETERMAN: Brigitte, did you want to say something?

25 DR. DORNER: I would just like to add that there were
26 several other stocks for which the Larkin model
27 was likely better than the Ricker model, but for
28 none of those stocks it really mattered either in
29 terms of time trends whether you took the Larkin
30 model or the Ricker model.

31 DR. PETERMAN: Right. Thanks for that clarification.

32 So what she's referring to is when I said
33 that only the Chilko, Quesnel and Stellako stocks
34 clearly showed the Larkin model was better, it
35 means they were the only ones that showed a
36 statistically significant, significantly better
37 fit than that Ricker model. Whereas Brigitte's
38 saying there are many stocks which there was just
39 a slightly better fit of the Larkin model to the
40 Ricker, but in practice it doesn't matter.

41 Q And one of the conclusions, or in relation to the
42 Walters et al 2004 paper, the question was whether
43 there was evidence of catastrophic decrease or
44 collapse in recruitment per spawner at the highest
45 spawning, at highest spawning stocks. Was that
46 something that you would say is evidenced in
47 Quesnel, or are you just saying that there is a

1 relationship, a density-dependent relationship
2 that you can see in Quesnel?

3 DR. PETERMAN: No, I would say the second. So we're
4 only seeing evidence for the delayed density-
5 dependence through fitting the Kalman filter
6 Larkin and Ricker models and comparing their
7 trends.

8 Q Okay. So you wouldn't say that you've seen
9 evidence of a catastrophic collapse --

10 DR. PETERMAN: No.

11 Q -- of that stock.

12 DR. PETERMAN: It's highly cyclic, as everyone knows,
13 with the cyclic dominance phenomenon.

14 Q Okay. And then on page 45, you set out your
15 conclusions on the section, and if I can just
16 summarize what -- or you could just summarize,
17 what were your overall conclusions with respect to
18 the delayed density effect in high spawning levels
19 on the productivity declines we've seen in recent
20 years in the Fraser system?

21 DR. PETERMAN: Well, I guess what we can say is that we
22 conclude that although there's evidence that
23 there's two kinds of density dependence, just the
24 standard ones shown by the Ricker model of the
25 effect of abundance of spawners in one year on the
26 productivity of their offspring, and that there is
27 delayed density-dependence for the Quesnel stock,
28 it does not seem to support the hypothesis that
29 efforts to rebuild the Fraser populations in
30 recent years has led to over-spawning in a way
31 that caused substantial declines in productivity.
32 In other words, there doesn't seem to be evidence
33 from this work that supports the concern that the
34 increased spawner abundance has caused the
35 decrease in productivity over time, except perhaps
36 for the Quesnel stock.

37 Q Okay. On page 45 you then begin the next section
38 of your report, and this looks at the:

39
40 Comparison of productivity patterns across
41 sockeye populations.
42

43 And I wonder if we could just start by having you
44 identify what the purpose of this analysis was.

45 THE COMMISSIONER: Ms. Baker, I wonder if I could just
46 interrupt just very briefly, just so I just get an
47 understanding of Dr. Peterman. You said this

1 orally, but on page 1 of the "Executive Summary",
2 Dr. Peterman.

3 DR. PETERMAN: Yes.

4 THE COMMISSIONER: Just so I understand it. You say in
5 that final sentence about:

6
7 ..."productivity" is the number of adult
8 returns produced per spawner, where
9 "spawners" are the fish that reproduce for a
10 given sockeye population in a given year, and
11 "adult returns" (or "recruits") refer to the
12 number of mature adult salmon resulting from
13 that spawning that return to the coast --
14

15 DR. PETERMAN: Right.

16 THE COMMISSIONER:

17
18 -- prior to the onset of fishing.
19

20 I just want to be clear, you're not talking there
21 about the number of out-migrating stock.

22 DR. PETERMAN: Right.

23 THE COMMISSIONER: And the other thing is you're not
24 talking about those who actually return to the
25 spawning grounds.

26 DR. PETERMAN: That's correct. Yes. So the adult
27 recruits are used here to measure productivity
28 because it's prior to the sources of mortality,
29 starting with the onset of fishing, and then
30 you've heard, I think, about en route mortality as
31 the fish are migrating up the river. It's before
32 that. So what you're trying to ask is how
33 successful has a group of spawners been in
34 producing maturing offspring. And "maturing
35 offspring" is really the key phrase here.
36 Maturing adults or what we're calling recruits,
37 prior to the onset of fishing.

38 THE COMMISSIONER: Okay. And when you say "to the
39 coast", what exactly do you mean by that?

40 DR. PETERMAN: Okay. Well, so what that is estimated
41 as is the sum of the catches, the sum of the
42 spawners, the sum of the estimates of the en route
43 mortality, that is, as the fish migrate upstream,
44 we've got these various ways of estimating
45 mortality. So those three components added
46 together estimate the number of recruits that
47 return to the coast prior to the onset of fishing.

1 THE COMMISSIONER: I see. Okay. So you're adding that
2 together.

3 DR. PETERMAN: Absolutely.

4 THE COMMISSIONER: All right.

5 DR. PETERMAN: Yes. Good question.

6 THE COMMISSIONER: Thank you very much.

7 MS. BAKER:

8 Q All right. So I was moving to this next section:
9

10 Comparison of productivity patterns across
11 sockeye populations.
12

13 And asking if you could just state what the
14 purpose of this analysis was in this section, and
15 then we'll get into it in some detail.

16 DR. PETERMAN: Sure. Well, we had three purposes for
17 examining these data across the 64 sockeye
18 populations.

19 First of all, we wanted to accurately
20 describe these trends in Fraser River sockeye
21 productivity that was the genesis or that were the
22 genesis of this Commission, so that we get a
23 clearer picture, not just what's in the news, but
24 just really describe what has happened to the
25 Fraser sockeye.

26 The second, we also wanted to determine
27 whether the decreasing trend in the Fraser sockeye
28 abundance and productivity was shared by other
29 sockeye populations on the West Coast. In essence
30 we wanted to ask, is this a unique phenomenon to
31 the Fraser, or is it widespread, and if it's not
32 unique, how widespread is it?

33 And the third purpose was to generate these
34 productivity estimates of three kinds that I've
35 mentioned to provide to other researchers that are
36 working on the various hypotheses and testing the
37 hypotheses for the Commission in the 12 projects
38 that are going on.

39 So we did that. We provided all these data
40 to all those other researchers, and I believe
41 you've heard from some of them, and there are
42 others yet to come.

43 So if we could have a look at Figure 9 on
44 page 49, please. Okay. So what this figure shows
45 is the Kalman filter estimate of productivity,
46 which you will recall is the one that filters out
47 the high frequency noise and looks at the strong

1 underlying trend, or the signal that we're most
2 interested in. And what we show here is the
3 Kalman filter trends for the best fit model. So
4 it depends on which stock you're talking about,
5 whether it's the Larkin model or the Ricker model,
6 but the key point that I want to make here is that
7 we have these consistent time trends in
8 productivity across many populations.

9 So if we look at the top left graph, it's the
10 Early Stuart. You see a decreasing productivity,
11 a general trend going from mid-1960s downward.
12 And so this index value is a bit hard to explain.
13 But what it is, is we've scaled all of these time
14 trends in productivity to the same base point, so
15 that we can compare trends across populations.
16 Some populations are much more productive than
17 others and you wanted to be able to compare the
18 trends visually by having them on the same scale.
19 So that's what we have here. And so you can think
20 of the zero point as being the average of a given
21 time series and the deviation above the time
22 series is higher than the average productivity,
23 and below zero being below the average
24 productivity.

25 So going beyond, then, to the Early -- pardon
26 me, the Fraser Early Summers on the right, top
27 right, you will see that there are quite a few
28 populations there that show the same trend,
29 starting at about 1970, downward trend in
30 productivity for all of them except for the Pitt.
31 The Pitt is the purple triangles, and the Pitt is
32 different probably because it's been affected by
33 hatcheries strongly since the 1960s. So I don't
34 think it's as comparable to the others that are
35 more or less wild populations.

36 So if we could go to the next graph on the
37 lower left, please.

38 Q Sorry, before you leave that.

39 DR. PETERMAN: Oh, yes, sure.

40 Q The one that is a flat line on zero, could you
41 explain that.

42 DR. PETERMAN: Oh, yes, thank you for pointing the flat
43 one, there are two of them actually, they're Gates
44 and Raft. And that flat line simply says that the
45 Kalman filter estimate was not able to distinguish
46 any strong trend, and so it just said, well, it
47 must all be due to noise, we'll just put in a flat

1 line, and so a lot of high-frequency variation,
2 either due to natural causes or observation error
3 in the data. So any time you see a flat line on
4 these Kalman filter series it just says the
5 estimate is that there's no trend over time in
6 productivity.

7 Okay. Now, if we could go to the lower left,
8 please. Okay. So this is the Fraser Summer
9 group, and I assume you've all heard about the
10 four run-timing groups, so I don't need to explain
11 that. Okay, good.

12 So we have four stocks here and you'll notice
13 that three of them, all except the Quesnel in
14 green pluses there, all of the other three show
15 this consistent time trend since the late '80s,
16 early '90s, downward time trend in productivity.
17 But most of them showed a similar time trend
18 increasing from the '60s to the late '80s, early
19 '90s. So this time trend is different from what
20 you've seen in the other run-timing groups, but
21 it's similar to the extent that the most worrisome
22 period to us, the last decade, is also showing
23 this decreasing productivity.

24 And then over on the far right, please.

25 Q Sorry, did you want to comment on Quesnel; you had
26 excepted Quesnel.

27 DR. PETERMAN: Oh, yeah, well, Quesnel, I'll just point
28 out again, this is the time series we saw before,
29 it was in a different colour, but it's the flat,
30 relatively flat time series in productivity
31 estimate, which we attribute to the -- well, the
32 fact that it's flat as opposed to decreasing is
33 attributed to the delayed density-dependent
34 phenomenon that the Larkin model represents.

35 Oh, and I should point out, by the way, that
36 the headings there, with the stock names, Quesnel,
37 Stellako, and so on, if they're in red it's the
38 Ricker model that's the best fit model. If it's
39 in the black it's the Ricker model.

40 Q Sorry, you just called them both the Ricker model.

41 DR. PETERMAN: Did I?

42 Q Yes.

43 DR. PETERMAN: The red one -- thank you, that's very
44 good. The red ones are the Larkin model best fit,
45 and the black ones are the Ricker model best fit.
46 But as Brigitte pointed out, there's just a very
47 slight difference in all these cases between the

1 Ricker and the Larkin model trend, so we decided
2 not to clutter up these graphs by showing you all
3 the options. The only one that's really different
4 significantly in this sense we're talking about
5 here today is Quesnel.

6 Okay. So if we could have the graph to the
7 right, please. Here's the fourth run-timing group
8 now. In this group we have two stocks, again
9 showing the decrease in productivity since the
10 late '80s, that's the Birkenhead and the Cultus.
11 And then many of them are showing constant trend
12 in productivity.

13 And the outlier here that's really important
14 that we'll come back to later is the Harrison
15 stock, which shows a considerable increase in
16 productivity since the mid-1980s. And that's a
17 very important clue to perhaps what's going on
18 with these Fraser River stocks, because it turns
19 out to have a different life history than the
20 other stocks.

21 The Harrison go to sea as fry rather than as
22 smolts. They don't rear in the lake, and they
23 have a different, we think, a different out-
24 migrating pattern through the Strait of Juan de
25 Fuca rather than through Johnstone Strait, and
26 I'll come back to this later.

27 Q So that looks at the Fraser stocks.

28 DR. PETERMAN: Yes.

29 Q On page 51 you have similar trends set out for
30 some non-Fraser stocks, and I wonder if we can
31 just review those.

32 DR. PETERMAN: Yes, please, could we look at that page
33 51, please. Okay. So now here we have all these
34 non-Fraser stocks.

35 Actually, Mr. Lunn, could we go back to
36 Figure 1 on page 15, please, this is just the map.

37 Okay. So just to refresh your memory now,
38 where all these non-Fraser stocks are that I'm
39 going to show productivity trends for in a moment.
40 So Lake Washington obviously to the south of us.
41 There are two stocks, 21 and 22, on the West Coast
42 of Vancouver Island. The Central Coast, 23-24,
43 and then -- oh, and 25, pardon me, Atnarko Lake,
44 and then the Skeena and Nass stocks are 26-27. So
45 those are the northernmost B.C. stocks. Then we
46 get up into southeast Alaska, 28 through 32, and
47 another region that you'll see is called the

1 Yakutat, and that's stocks 33 through 37, also
2 part of Alaska. And then later on I'll be showing
3 you the Bristol Bay stocks, which are 55 to 62,
4 over in Western Alaska.

5 Okay. So if we could go back then to Figure
6 10 on page 51, please.

7 All right. Now, it's very significant what
8 we found here, that if you look at these time
9 trends, again scaled, these are the Kalman filter
10 time trends in productivity estimates.

11 Washington in the top left graph, the red
12 dots, shows a decreasing productivity pattern
13 that's extremely close to what we see for the
14 Great Central and Sproat Lake stocks, which are on
15 the West Coast of Vancouver Island.

16 Q And why are those grouped together?

17 DR. PETERMAN: Those are grouped together because they
18 all migrate out along the West Coast of Vancouver
19 Island, from the best of our knowledge as
20 juveniles from Lake Washington, go out through the
21 Strait of Juan de Fuca, migrate along the West
22 Coast of Vancouver Island, and go past where the
23 Great Central and Sproat Lake fish go in, as well.
24 And you can see a very strong correlation in their
25 temporal patterns, particularly in this period of
26 greatest concern to us, since the late 1990s.
27 Okay.

28 And then if I could get the next ones on the
29 right, please, at the top. Okay. These are the
30 Central Coast stocks now. Three of them show
31 strong trends downward in the '80s and '90s, but
32 then a rebounding in the late '90s to high
33 productivity. In particular, those are the Long
34 Lake and Owikeno Lake stocks, or what are
35 otherwise known as Rivers Inlet is the same as
36 Owikeno Lake, and Long Lake is Smith Inlet. So
37 those two populations for some reason had an
38 increasing productivity in that late '90s, early
39 2000 period.

40 The Atnarko Lake stock had a small increase
41 during that time, but then a decrease. So again,
42 though, the important point is the last decade or
43 so -- or not the last decade, the last six years
44 or so for all these populations showed a decrease
45 in productivity.

46 Okay. If we could go now to the bottom left
47 one, please.

1 Q To the North Coast B.C.?

2 DR. PETERMAN: Yes, North Coast of B.C. So these are
3 two well-known stocks, North Coast, Skeena and
4 Nass, also showing downward trends, particularly
5 for the Skeena since the late '80s, but Nass not
6 really showing a consistently until the late '90s,
7 early 200s.

8 And then to the right of that, please. These
9 are the first Alaskan stocks now. This is
10 Southeast Alaska, and one of them, the Speel
11 there, solid green dot, green pluses, just shows a
12 flat trend, but all of the others except for
13 Chilkoot show a decreasing trend, as well, this
14 time starting a little bit earlier in the early
15 1990s, or late '80s. The Chilkoot actually shows
16 an increasing productivity, just like the Central
17 Coast B.C. stocks did.

18 Okay. And then finally, going a little bit
19 further north along the coast, the Yakutat stocks.
20 Again, several of them are flat, or two of them
21 are flat, and three of them show this decreasing
22 productivity trend, similar to what we saw
23 earlier.

24 So what I think is pretty obvious from these
25 graphs is that we are not looking at a phenomenon
26 that's unique to the Fraser. It appears,
27 particularly in the last decade, that a decrease
28 in productivity has occurred in these other
29 populations, as well. So to us, to Brigitte and
30 me anyway, it seems that while it's possible that
31 independently operating processes in these non-
32 Fraser regions could have caused a decrease in
33 productivity, it seems very unlikely that that
34 would have happened consistently over such a large
35 area, up the coast to the Yakutat region in
36 Southeast Alaska.

37 So we don't have any direct evidence of
38 mechanisms obviously causing these changes, but we
39 would suggest that based on this comparison of
40 time trends from non-Fraser with Fraser stocks,
41 that this widespread phenomenon of a decreasing
42 trend is more likely due to some shared process of
43 some type.

44 Q You also, in the appendices to your report you
45 have done analyses on stocks across all these 64
46 stocks, and although you haven't shown it in the
47 body of your report, you also have some similar

1 tables or figures in relation to Bristol Bay, and
2 I wonder if we should just look at those as a
3 comparison as well.

4 DR. PETERMAN: Yes, definitely.

5 Q So if I can -- unfortunately the appendix pages
6 aren't numbered, but if you turn to Appendix P3
7 and you count in 17 pages, Mr. Lunn will have it
8 on the screen which will make it easy for people
9 to see.

10 DR. PETERMAN: There it is right there.

11 Q Yes. But it is the 17th page into Appendix P3.

12 DR. PETERMAN: Right.

13 Q And at the bottom half on the left of this page
14 you'll see the Bristol Bay South and North, a
15 similar trend analysis.

16 DR. PETERMAN: Yes. Exactly. Okay. So you've
17 undoubtedly heard about the Bristol Bay sockeye in
18 comparison to B.C. sockeye, and it's important to
19 note that these stocks, not only are they
20 extremely abundant, but compared to the B.C.
21 sockeye stocks, but they also had different time
22 trends. So I highlight these because they're very
23 well documented, they go back to the 1950s, and
24 these Kalman filter time trends again from the
25 best fit model show quite a different pattern from
26 the rest of the stocks that we've just been
27 looking at.

28 You will notice that there's a tendency for
29 an increasing productivity since the early '90s
30 onward, with perhaps one exception, and that is
31 the Kvichak stock. And the Kvichak stock is one
32 that we'll undoubtedly come back to later. This
33 used to be the world's largest sockeye population,
34 but it's productivity has gone down dramatically.
35 But you'll notice that all the others have shown
36 this increasing trend, particularly since the
37 early to mid-1970s, when there was a regime shift,
38 oceanographic conditions became much more
39 favourable.

40 And then in the Bristol Bay North group,
41 which is really the Western Bristol Bay stocks,
42 you see this consistent upward trend in
43 productivity, again since the early 1990s, in
44 direct contrast to what we've seen in the Fraser
45 sockeye, and many of the other B.C. sockeye.

46 Q When you refer to that term "regime shift", I
47 think that's a term that --

1 DR. PETERMAN: Ah.

2 Q -- means something specific to people in your
3 scientific community, but maybe you can explain
4 what that means.

5 DR. PETERMAN: Okay, sure. Well, there's strong
6 evidence that beginning in 1976-1977, the winter,
7 that the wind circulation patterns changed
8 substantially, which changed the oceans currents,
9 which changed, which led to an increase in
10 productivity of the food supply for the salmon.
11 And so what we see in pink salmon in particular in
12 the north, as well as in sockeye salmon in the
13 north, that you have this increase in
14 productivity. Number of recruits produced per
15 spawner increased dramatically, which led to an
16 increase in total abundance of adults, increased
17 catches, and in some cases increased spawners, as
18 well.

19 Q All right. So it's an environmental regime, a
20 decadal regime.

21 DR. PETERMAN: Yes.

22 Q As opposed to a management regime.

23 DR. PETERMAN: Yes, thank you for that question, I
24 forgot that. Yes.

25 Q Thank you. All right. Now, the next analysis
26 that you describe in your report is a correlation
27 analysis of productivity patterns across stocks,
28 and if we turn to page 53 of your report you have
29 a figure that explains some of this. I don't
30 know, the colours seem to wash out quite a bit. I
31 don't know if there's anything that can be done.

32 DR. PETERMAN: Okay. Well, if maybe we could blow it
33 up a bit, it might help, if it's possible to blow
34 it up. I'm not sure.

35 Okay. So what this table does is it visually
36 summarizes the pair-wise correlations among the
37 time series, common to -- pardon me, the residual
38 time series of productivity for these different
39 populations.

40 So let me try to walk you through this. So
41 if you look across the top you'll see all of the
42 stocks arranged from south to north, except
43 somehow Washington got placed above Fraser. But
44 there are all the Frasers, first four columns,
45 four Fraser run-timing groups, then Washington,
46 and then it works up the coast: Barkley Sound,
47 Central Coast, North Coast, all the way up to

1 Bristol Bay and then farther, AYK is the Arctic-
2 Yukon-Kuskokwim. And then along the left side
3 you'll see exactly those same labels in the same
4 order.

5 So if we look at one cell, for example, the
6 cell for the Central Coast, so it's the leftmost
7 column, Central Coast and Fraser Early Summer,
8 where those two cross, if you could just point to
9 that Mr. Lunn, please, with your -- with the
10 mouse.

11 Q And I wonder, I just want to suggest that people
12 may want to look at their hardcopy of the report,
13 because so many of the gradations in colour are
14 washed out on the screen.

15 DR. PETERMAN: Okay.

16 Q If you look at the paper you can see many more
17 shades.

18 MR. HARVEY: Sorry, what page is that on?

19 MS. BAKER: It's page 53.

20 DR. PETERMAN: Okay. So if we look at the cell there
21 that, Mr. Lunn, if you could put your pointer on
22 the Central Coast and Fraser Early Stuart, the far
23 left column there, yeah, that one right down
24 there, right where the little pointer is.

25 What that cell shows visually is the average
26 correlation between each pair-wise comparison
27 between the Central Coast stocks and the Fraser
28 Early Stuart stocks. So there are several Fraser
29 Early Stuart stocks. There are several Central
30 Coast stocks. So you take each pair of those time
31 series of productivities and you correlate them.
32 Each pair has a correlation value. You take the
33 average of all those correlations and that average
34 is shown in colour here.

35 So if you look at the legend on the right in
36 dark blue it's correlation 1, which means they're
37 perfectly synchronized, and lighter shades of blue
38 means they're positively correlated, that is,
39 they're going in the same direction, but they're
40 not as strongly correlated as they would be if
41 they were perfectly correlated. And then at the
42 other end of the scale, dark red is opposite
43 trends, so the correlation is negative.

44 So if you look at this pattern here, what
45 you'll see is that there tends to be mostly blue
46 in the lower left triangle of this table, which is
47 the correlations among the B.C. stocks and the

1 Washington stock. So that lower left, about
2 eight-cell wide and eight-cell tall, yes, that
3 triangle there, it's all blue, or shades of blue
4 with a few whites in there.

5 So one thing that's very important to ask,
6 though, is does this correlation pattern stand up
7 through time, or does it shift. So these results
8 that you're looking at right now cover the entire
9 time series from 1950 to 2004 brood years.

10 Now, if we go to Appendix 7, which is on page
11 126, starts on page 126, we can look at how this
12 correlation pattern changes through time.

13 So this is the first time block, 1950 to
14 1985. You see more or less the same trend as what
15 we just looked at, although slightly weaker.
16 There are less blue cells, less positive
17 correlations in that lower left triangle among the
18 B.C. populations than we saw in that long-term
19 average.

20 So what I want to do now is just flip through
21 three slides in a row. We'll do this one, which
22 is 1950 to '85 - and not yet - but the next one
23 will be 1985 to '95, and then the final slide will
24 be 1995 to 2004. So we're just going to look at
25 timeframes and see how the correlation pattern
26 changes.

27 So, Mr. Lunn, could we do that, please. This
28 next, okay, there's the '95, '85 to '95, and then
29 the next one is '95-2004. So I don't know if it's
30 possible to get those all in the same position so
31 we can just flip from one to the other, but it's
32 really much -- yeah, okay, there we go. Sorry,
33 Brigitte, you're off --

34 Q Brigitte's gone, poor Brigitte.

35 DR. PETERMAN: Brigitte's gone for the moment.

36 Okay. So let's start back at the original
37 one. So if you look at the colours down in the
38 lower left corner of this table, we'll step
39 through to the next period from '85 to '95, and
40 then from '95 to 2004. And you'll see
41 particularly in the last period there's a much
42 stronger positive correlation than there was in
43 the previous period, which means the stocks are
44 becoming more synchronized in their trends in
45 productivity than they were in the earlier period.
46 Another thing you'll notice is that in this latter
47 period the blue positive correlations appear

1 farther to the north than in the earlier period.

2 So, Mr. Lunn, can we go back to the first one
3 again and just flip through the three. So middle
4 period, final period. So you see there's much
5 stronger positive correlation now in those
6 comparisons between the B.C. stocks and the
7 Alaskan stocks than we saw before.

8 And you'll notice something else happen then,
9 which is that you get a much stronger negative or
10 inverse correlation between these Alaskan stocks
11 and the B.C. stocks up in the top two rows. So
12 they become much redder than in the first period.

13 So if we just go back to the first one again.
14 Didn't have the AYK data prior to the 1970-
15 something, so we didn't have that one. But next
16 period, please, and then final period. So the
17 final period again much more red, meaning much
18 stronger negative correlation.

19 So whatever is happening is causing the time
20 trends in productivity among the B.C. stocks to
21 become more strongly positively correlated in the
22 recent decade compared to the past, and more
23 negatively correlated with what's going on in
24 Western Alaska, Bristol Bay, in recent years
25 compared to the previous.

26 Q Thank you.

27 DR. PETERMAN: Okay? So I think that's it for these
28 slides. So if you could go back, then, to the
29 main text, please.

30 So just to describe, then, what we're saying
31 in words, this really reinforces our conclusions
32 from the visual comparison of the time trend plots
33 that I just showed you a little while ago, that
34 there does seem to be strong evidence of positive
35 correlation among the stocks in B.C., Southeast
36 Alaska and the Yakutat region, particularly in the
37 recent decade.

38 Q Okay. The last piece in your report is looking at
39 productivity patterns through different life
40 stages, and that's set out beginning at page 57 of
41 your report. Why did you do this analysis. What
42 were you looking at across life stages?

43 DR. PETERMAN: Okay. Well, we had the luxury of having
44 some populations where we had the juvenile
45 abundances as they were going to sea. So rather
46 than the analyses relying totally on the link
47 between spawners and the adult recruits, which has

1 been the subject of the discussion to this point,
2 we had a few cases where we could compare the
3 productivity in the first life stage from spawners
4 to juveniles migrating to sea, and then from the
5 juveniles to the adults. And then we could ask,
6 where is this decrease in overall productivity
7 happening from the spawners to recruits? Is it in
8 the early life stage, or is it in the later life
9 stages?

10 Q And how many Fraser River stocks do you -- did you
11 have freshwater data on that would allow you to do
12 this analysis?

13 DR. PETERMAN: Nine.

14 Q Okay.

15 DR. PETERMAN: So if we could maybe show how the
16 comparison was done by moving to figure 12,
17 please, on page 58. Okay.

18 So this is a set of figures all for the
19 Chilko. It turns out that Fraser sockeye only has
20 one population for which we have good time series
21 of juvenile abundance, and that's the Chilko. The
22 Chilko smolts are those fish that stay over winter
23 one year in-lake, and then go to sea the following
24 spring.

25 So on the left side you see there the time
26 series of the abundances at the start and end of
27 each life stage, and all we need to do is look at
28 the figures on the right column.

29 So in the top right column is the number of
30 smolts per spawner, and so that's labelled "J/S"
31 in the top right corner, juveniles produced per
32 spawner. And what you see here for the Chilko --
33 pardon me, the label on the "Y" axis there, next
34 to the number says "Number of smolts", that's not
35 correct. It should read "Juveniles produced per
36 smolt".

37 And what you see in particular here is there
38 is a decreasing productivity in that freshwater
39 phase, from the 1960s through to the late 1990s,
40 on average a downward trend. But since the late
41 1990s, the productivity in Chilko Lake has gone
42 away up. And that says that, well, if that had
43 followed through to the adult stage, you'd expect
44 big increase in Chilko recruits per spawner.

45 But that didn't happen, because it's what
46 shown in the next graph below, there was a
47 decrease in the number of recruits produced per

1 juvenile in that period, from the late '90s
2 through 2004. It was more or less constant from
3 when smolts go to sea until they come back from
4 the 1960s, maybe a increasing a bit even, to the
5 1990s. But then it went down dramatically.

6 So you put those two life stages together,
7 and we see the series we saw before, which is
8 recruits per spawner - that's down below now,
9 please - and because of this huge spike in the
10 1989 brood year, spawning year, we can't see the
11 trend too well, but just the change in the
12 freshwater survival productivity going up was not
13 translated through to increasing productivity of
14 recruits per spawner, at least not to the degree
15 observed in that first life stage.

16 Q Were you able to do this analysis for any non-
17 Fraser stocks?

18 DR. PETERMAN: Yes, we did, but unfortunately only four
19 of the non-Fraser stocks really had juvenile
20 abundances of any use for this type of analysis,
21 as I say, reasonably long time series. And those
22 stocks were Skeena, Lake Washington, and the two
23 lakes on the West Coast of Vancouver Island, Great
24 Central and the Sproat.

25 And I want to point out here, by the way,
26 that these other stocks for which we have juvenile
27 data include a substantial amount of time in
28 freshwater. So although we can say for this
29 Chilko stock we're looking at right now, that the
30 second life stage looks at the survival rate from
31 the day when they leave the lake to when they come
32 back to the coast as adults, prior to the onset of
33 fishing, it's mostly in the marine water. There's
34 about an eight- to 12-day period that the Chilko
35 smolts migrate from the lake down to the ocean.
36 But for the other populations that I'm going to
37 talk about here in the Skeena, the Nass -- pardon
38 me, not -- the Skeena, Lake Washington, and the
39 Great Central Lake and Sproat Lake, there's a
40 longer period in freshwater.

41 So the juvenile abundances do reflect some
42 other period that we can't really separate out
43 what happened between when they were measured as
44 fry in the lake, for instance, and when they were
45 entering the ocean.

46 Q So for those four stocks that you just mentioned,
47 the juvenile data is fry data, as opposed to smolt

1 data.

2 DR. PETERMAN: That's right.

3 Q Okay. And for the Fraser River stocks --

4 DR. PETERMAN: Oh, well, no, sorry. Skeena is smolts
5 also.

6 Q Okay.

7 DR. PETERMAN: But there's a long way between Babine
8 Fence and saltwater.

9 Q Okay. And for the other, for the Fraser stocks,
10 we talked a little bit about Chilko, which is you
11 have smolt data to work with.

12 DR. PETERMAN: Right.

13 Q On the other Fraser stocks, I understand that
14 there's fry data that you're using --

15 DR. PETERMAN: That's right.

16 Q -- as well.

17 DR. PETERMAN: That's right. And so the fry are
18 estimated the winter before they become smolts, so
19 there's this extra year of mortality in freshwater
20 that's reflected by those estimates.

21 Q And what was your conclusion from this analysis,
22 and I'm looking at Figure 13 on pages 59 and 60,
23 which seems to set out your conclusions.

24 DR. PETERMAN: Yes, if we could have a look at that,
25 page 59, please. Okay. So what we see here,
26 then, is the spawner-to-juvenile survival rate in
27 the left-hand column for three of the four run-
28 timing groups in the Fraser.

29 The top left is the Early Stuart, and you see
30 spawner-to-juvenile productivity has gone up since
31 1990, but just to the right of that is the
32 juvenile-to-adult survival rate, and that's gone
33 down. And that's what's led to the latter life
34 stages, the juvenile-to-adult stage is what's led
35 to that decreasing recruits per spawner time trend
36 that we looked at earlier for the Early Stuart.

37 Similarly for the Early Summer runs in the
38 middle two panels there, we have the time series
39 for the spawner-to-juvenile. Now, in those two
40 cases, Gates and Nadina, those also have
41 decreasing time trends in productivity, at least
42 until mid-1990s when Nadina went back up. And
43 both of them, though, show a decrease in the
44 juvenile-to-adult stage in that last decade or
45 decade and a half, at least.

46 And then at the bottom we have two panels
47 there for the Summers, and the spawner-to-juvenile

1 stage is flat or constant for all stocks except
2 for the Chilko, we just looked at that, which is
3 the increasing trend there. And on the right-hand
4 side, though, we see that the juvenile-to-adult
5 productivity has gone down for all three of those
6 stocks.

7 And the fourth one, it's not terribly
8 critical to look at, the fourth run-timing group.

9 But basically what we see here is that there
10 appears to be a decrease in juvenile-to-adult
11 stage since the 1990s, that has led to the overall
12 decrease in recruits per spawner that we've
13 observed in most of the Fraser sockeye.

14 Q All right. So I just want to do some overall
15 conclusions with you. What, first of all, did
16 your work contain -- or how much of your work was
17 a quantitative analysis of causal mechanisms for
18 the decline?

19 DR. PETERMAN: Yes, that's right. Thanks for asking
20 that. We did not do any quantitative analyses of
21 mechanisms causing the trends that you observed.
22 We didn't have the mandate to do it. Our contract
23 said describe the historical trends in
24 productivity of these stocks as a basis for other
25 researchers to test their hypotheses with our
26 output. So what we can say, though, is based on
27 these spatial patterns, I think we can at least
28 hint at some of the hypotheses that might be more
29 viable than others, but I'll...

30 Q Did you do a quantitative analysis of the delayed
31 density-dependence hypothesis?

32 DR. PETERMAN: Yes, that's what we looked at earlier.

33 Q Yes.

34 DR. PETERMAN: We had our conclusions within the Kalman
35 filter Larkin model was that there is strong
36 evidence that the Quesnel stock demonstrated
37 delayed density-dependence.

38 Q Okay. I'm just asking that because when you
39 answered my question, you said you didn't do any
40 quantitative analysis, and I understood that the
41 delayed density analysis was quantitative.

42 DR. PETERMAN: Oh, yes, thank you. Yeah, yeah, yeah,
43 you're right. You're right. I was thinking no
44 quantitative analysis to explain these time trends
45 by using data say on sea surface temperature, food
46 supply contaminants or other things like that.

47 Q Okay. All right. So what do the shared

1 productivity patterns that we see in your time
2 trends tell us about causal mechanisms, anything?
3 DR. PETERMAN: Well, as I hinted at before, to us, and
4 Brigitte might want to jump in here, but to us it
5 seems like there's a much greater chance that
6 there's some shared trend across these populations
7 to varying extents, than that there's some near
8 coincidence of independently operating factors
9 causing a downward trend in productivity of all
10 these stocks simultaneously. It's possible that
11 there's a coincidence. We can't deny that. But
12 it seems unlikely over such a large spatial scale
13 that that would happen.

14 So it seems like there would be processes
15 operating on a larger scale that would be
16 affecting these populations simultaneously. And
17 these could be things such as oceanographic
18 patterns driven by climatic processes. And in
19 fact I'll just stop there at that one, because
20 there is evidence, other evidence that's been
21 published by many people, including my own group,
22 that shows there is some spatial coherence, some
23 spatial positive covariation among populations in
24 their productivity. But what's been documented
25 before in the literature has not been to this
26 large of a spatial extent. It's never been looked
27 at before.

28 so there's something that's changed. In our
29 analyses that we published in 2002, we saw a much
30 more constrained positive correlation spatially,
31 but being published in 2002 we had data only up to
32 the late 1990s. Now we've got almost another
33 decade of data where from what you've seen here,
34 appears there is much stronger trends than in the
35 past, and the downward trends.

36 So that idea of some kind of large scale
37 climate-driven, perhaps, oceanographic processes
38 might have explained this. But I should re-
39 emphasize that you can take a magnifying glass to
40 these trends that we've been looking at and you
41 can say, well, actually they're not the same;
42 they're different. For instance those Central
43 Coast populations had an increase in productivity
44 in the mid-1990s, late 1990s, whereas the Fraser
45 stocks generally did not, although there's a few
46 exceptions there. The Fennell did. And you could
47 say, well, they're not the same. Sure. But I'd

1 say, and all hypotheses should be, why is it that
2 on average they all had lower productivity at the
3 end of the period than at the start. I think
4 there is a trend that we should be looking at, and
5 those who are testing hypotheses about various
6 mechanisms should be taking into account this very
7 large spatial pattern that seems to be shared.

8 So just to get back to this coincidence idea.
9 It is possible that you could argue, for instance,
10 well, contaminants have become so pervasive that
11 now they affect all these populations from
12 Washington right through to Southeast Alaska.
13 Sure, that's possible, but I bet that when you
14 hear from Dr. MacDonald in his study, you'll
15 probably find that, well, the contaminant levels
16 are different in different watersheds, and in
17 different estuaries, and in different coastal
18 systems. So that may be the case. It may be the
19 case that pathogens are widespread and it's
20 affecting all of these populations now, and we
21 have no evidence of that, of course, in our
22 analysis. So it could again be a mere
23 coincidence. The same with predators, any of
24 these types of mechanisms are conceivable. But to
25 us, until we see the data, we would suggest that
26 people take a close look at the large-scale
27 pattern as the defining characteristic of what it
28 is they're trying to explain these trends with.
29 It should be a phenomenon that's got a large
30 spatial scale.

31 So if I could, could we go back to just
32 looking at that Harrison case. This is a very
33 important clue we have. So it's Figure 9 on page
34 49, please, Mr. Lunn. Yes, it's the lower right
35 corner. If you could just blow up that one,
36 please.

37 I mentioned this in passing before. So this
38 is the Kalman filter time series again of
39 productivity estimates, and it turns out that that
40 Harrison stock might provide a clue as to what is
41 different about the stocks that are going down
42 from those that are staying constant in
43 productivity, or even going up.

44 The Harrison fish, unlike all the others in
45 the Fraser, are sockeye that go to sea as fry.
46 They don't overwinter in a lake. So they also
47 apparently rear for two to three months in the

1 Fraser River estuary before going into the Strait
2 of Georgia proper.

3 They're also there in the Strait of Georgia
4 longer. Dick Beamish has found them in the
5 northern strait as late as September when most of
6 the other sockeye from the Fraser River, the
7 smolts, are gone.

8 And then there's one tantalizing hint of
9 evidence that the Harrison juveniles go to sea via
10 the Strait of Juan de Fuca, the south of the
11 island, rather than going through the north. But
12 it's important to note that despite that
13 observation, everyone will jump on that and say,
14 oh, they're going a different route, so that must
15 be -- they've exposed themselves to something
16 completely different. Well, don't forget, the
17 West Coast of Vancouver Island stocks, Great
18 Central and Sproat Lake, as well as the Washington
19 Lake stock, showed a completely different pattern.
20 Those latter three stocks, Washington, Great
21 Central and Sproat, showed a decreasing time trend
22 in productivity, not an increasing time trend in
23 productivity like Harrison. So maybe it's not
24 what goes on, on the West Coast of Vancouver
25 Island.

26 I'm talking too much probably, so go ahead.

27 Q That's fine. Can you rule out any mechanisms
28 based on your work?

29 DR. PETERMAN: Well, I guess, based on what we've seen,
30 yes, we probably can, but very few mechanisms can
31 we rule out. I would say that life stage
32 comparison and analysis that we had for the nine
33 sockeye stocks in the Fraser system for which we
34 have juvenile abundance data showed that in seven
35 out of the nine cases where we had some decreasing
36 time trend in productivity, most of those showed a
37 decrease in the juvenile-to-adult stage, but not
38 in the juvenile-to -- or pardon me, to the
39 spawner-to-juvenile stage. So that suggests to us
40 that there is probably little effect of what goes
41 on in freshwater on that overall time trend in
42 productivity, with one exception, and that is a
43 hypothesis that perhaps the juveniles of the
44 Fraser sockeye are picking up something in
45 freshwater, like a parasite, or virus, or
46 bacterial disease, that doesn't manifest itself as
47 mortality until the fish get out to sea after

1 they're enumerated as juveniles. So that's
2 possible. But again, we can't speak to that.
3 That will be up to others who are investigating
4 that pathogen hypothesis.

5 So with that caveat, we'd say that it seems
6 unlikely again over the large spatial extent that
7 we've seen these decreases in productivity that it
8 would be due to shared variation in freshwater
9 processes, because it would -- those freshwater
10 processes would have to occur in all those stocks,
11 from Lake Washington right up through Southeast
12 Alaska, to the same extent and at more or less the
13 same time.

14 So again it's possible that there's been some
15 outbreak of some disease that we don't -- or some
16 pathogen that we don't know about, leading to
17 disease and mortality, but we doubt it, based just
18 what I'm -- based on the spatial scale, and just
19 being an ecologist and knowing how different these
20 watersheds are.

21 In fact, just as an aside, those of you who
22 haven't heard this before, the stock assessment
23 biologists in the past often used watershed-
24 specific parasites to identify which stock was
25 which in the mixed stock catch. So they would
26 pick up the fish, they'd sample the fish and say,
27 oh, look, here are these fish. They have this
28 particular parasite. It's only found in this lake
29 and not in the other lakes, so we know that's lake
30 "X". So again, that's just a bit of an aside,
31 saying how likely is it we're going to have the
32 same pathogens all along the coast, operating
33 simultaneously. Okay.

34 So that's the first hypothesis I think we
35 can, if not rule out, put at a very low
36 probability, is this is a freshwater event.

37 Second, we can probably rule out delayed
38 density-dependence as the shared source of
39 downward-driving trend in productivity. Like I
40 said before, it's definitely true for the Quesnel
41 stock that delayed density-dependence seems to
42 have occurred, but it does not seem to have played
43 an important role in any of the other stocks we've
44 looked at, and we fit the Larkin model, by the
45 way, to all 64 populations, not just the Fraser.
46 So I think we can rule out the delayed density-
47 dependence argument for explaining this shared

1 time trend.

2 The third hypothesis that we can rule out is
3 this en route mortality. So as we were discussing
4 earlier, the en route mortality is what happens to
5 the adults as they enter the river system and
6 migrate up towards their spawning grounds. Some
7 of them are dying, particularly in warm water
8 conditions, high flow conditions, and that is not
9 an explanation for the decrease in productivity
10 that we've had -- that we've described here today.
11 Because as I explained to the Commissioner, the
12 estimate of adult recruits are taking that en
13 route loss into account. So the en route loss
14 estimates are added to the spawner abundances,
15 which are again added to the catches to get the
16 adult recruits. So just by definition, the
17 recruits, the change in recruits per spawner
18 cannot be attributed to the en route mortality
19 directly.

20 And so that's not to say, of course, that en
21 route mortality isn't important in determining
22 spawner abundance. Obviously it is, and it has
23 been in several years, where the mortality has
24 been as high as 95 percent, apparently.

25 So clearly that's an important phenomenon
26 that will affect the total abundance of recruits
27 over the long term for some of these stocks, but
28 it doesn't -- the en route mortality does not
29 again affect the productivity measures that we've
30 looked at, recruits per spawner.

31 So I think those are the only three
32 hypotheses that we can really rule out.

33 MS. BAKER: Mr. Commissioner, if I can keep going, I
34 have a couple of questions on his recommendations,
35 and then I'll be finished, if that would be all
36 right. Thank you.

37 Q I want to move to the "Recommendations" section of
38 your report, and they're very clear. I'm not
39 going to take you to all of them. There's just
40 two I want to ask you a couple of questions about,
41 and those are recommendations 2 and 3. Sorry,
42 they begin on page 65 and --

43 DR. PETERMAN: 66.

44 Q -- well, 2 is on 66.

45 DR. PETERMAN: Oh, yes. Yes, okay.

46 Q And 3. So starting with recommendation number 2,
47 you make a recommendation that there should be,

1 that first of all you say there's a need for
2 agencies in Canada and the U.S. to coordinate
3 research activities through a working group. Can
4 you explain that a little bit further and explain
5 how you see that being set up?

6 DR. PETERMAN: Sure. So in case you're not aware of
7 it, the research that goes on, on sockeye salmon,
8 well, for any salmon, for that matter, tends to be
9 quite separate in the U.S. and Canada. But I
10 think what we've shown here today is a reminder
11 that maybe we should be looking at sockeye biology
12 in a little more broad scale than we have in the
13 past. So we've recommended that there be some
14 more coordinated research that would permit
15 scientists to answer questions about large-scale
16 processes that we describe. If instead everyone
17 is in their little channel, their little box, and
18 they're not looking at what's going on around
19 them, they might miss some bigger picture topic
20 that's really important.

21 So this coordination obviously happens
22 informally through conferences and the literature,
23 but not on a day-to-day basis. And so we're
24 proposing that some coordination between the U.S.
25 and Canadian agencies be done in terms of their
26 sampling programs, what kind of data they're
27 collecting, how they're analyzing the data, how
28 they're sharing the data. And obviously this kind
29 of group would need to be set up with the
30 agreement of the four relevant agencies,
31 Department of Fisheries and Oceans, Washington
32 Department of Fish and Wildlife, Alaska Department
33 of Fish and Game, and the Pacific Salmon
34 Commission, so and any other groups, for that
35 matter. I mean, these days we're using data from
36 all sorts of stakeholders, as well, so I would say
37 they should be involved to the extent possible.

38 And I think that it's going to be a difficult
39 task to maybe convince these parties that some
40 shared activities are in their benefit, but I
41 would hope that seeing this kind of result about
42 large-scale shared patterns would prompt them to
43 do that.

44 Q And would the creation of the kind of working
45 group you're talking about involve significant
46 resources?

47 DR. PETERMAN: Probably not. I think it would be

1 fairly minor. In fact, I could see a few initial
2 meetings being required among the international
3 groups, and then maybe an annual meeting, and
4 constant contact, of course, electronically. But
5 I wouldn't see it as a big cost, no.

6 Q Okay. And then recommendation 3 relates to
7 recommendation number 2.

8 DR. PETERMAN: Yes.

9 Q And it talks about developing and maintaining
10 well-structured databases for storing, verifying
11 and sharing data across the regions. So maybe you
12 can just give us a bit of an explanation how is
13 data that's relevant to salmon research and
14 management currently stored and shared by the four
15 agencies that you've just described?

16 DR. PETERMAN: Yes. Well, this recommendation was put
17 in here in response to my frustration, quite
18 frankly, at getting the data that we required for
19 this analysis. It turns out that not only are
20 each of the agencies storing their own data on
21 Excel spreadsheets, which is what you'd expect,
22 that is, that they would store them separately,
23 not necessarily on Excel spreadsheets, but even
24 within an agency the spreadsheets were compiled in
25 different ways by different people in different
26 offices, or even down the hall from one another
27 within the same office. So this was one thing
28 that I felt compelled to comment upon.

29 So the issues that I see in terms of the data
30 quality and accessibility are that, well, first of
31 all, the data quality are good. In terms of being
32 able to come up with reliable estimates of adult
33 returns and spawners for the populations that
34 we've described, I think the data quality is good.
35 However, we found quite a few cases where the
36 spreadsheets that were sent to me were poorly
37 documented, or had internal inconsistencies, or
38 they even had wrong numbers. And the reason I
39 know about wrong numbers is I did some
40 calculations myself from the columns that they put
41 together in various ways, and this is rare, but it
42 happened.

43 There was poor documentation to the extent
44 that I had to phone up some of the biologists to
45 find out, okay, what did you really mean by this
46 column heading? And as you probably know when you
47 use spreadsheets, you try to put in some little

1 succinct column heading in the small space you've
2 got available to you, which is not usually enough
3 to make it totally unambiguous to someone who did
4 not develop the spreadsheet, like me, or any other
5 user. And in fact these labels sometimes were
6 ambiguous to the point where I found out that
7 after a phone call, oh, yes, you should be using
8 so-and-so's values for the adult recruits, not
9 mine. That is that spreadsheet, I'll send it to
10 you. It's another spreadsheet and it's called "M"
11 there, where the column "K" that's labelled "adult
12 recruits" in mine, don't pay attention to that
13 one, which is shocking, to say the least. I
14 wouldn't pass my students with that kind of
15 approach, but...

16 And then the internal inconsistencies came up
17 where I found out that there were some
18 calculations across age structures that were not
19 done right, and so some numbers farther down in
20 the spreadsheet were not consistent that were
21 shown farther up.

22 And notations, now, this is a minor point it
23 sounds like to you, I'm sure. But there are three
24 different types of age notations in salmon
25 biology, and even among people in the same agency,
26 I saw all three. So surely they can agree on one.
27 And in fact, I think all agencies should agree on
28 one.

29 So this is just a bit of the few examples of
30 what I saw as some lacking of coordination in
31 putting together these data, and that certainly
32 won't facilitate sharing data across agencies. So
33 if we can fix that problem up, it will help make
34 the data available more widely, and, Mr.
35 Commissioner, I would argue that if these
36 databases had been standardized much sooner and
37 had been made more available more widely sooner,
38 it would probably have been clearer that there
39 were these shared trends going on before now. It
40 can't be guaranteed, but I suspect that would have
41 been the case.

42 Q Is this situation that you've described, I take
43 it, it can be improved and what's the -- what are
44 the resources required to do the improvements that
45 you've talked about?

46 DR. PETERMAN: Well, I'm not expert on formal
47 relational databases, Brigitte is, I suppose. But

1 really what is required here is that a formal
2 standardized relational database, like Microsoft
3 Access, or maybe some other non-Microsoft product
4 preferably, would enable people to have a central
5 point where they have quality control, quality
6 assurance processes that they use to insert their
7 data, and to change any data.

8 And I say change the data because this often
9 happens in salmon biology. You will see
10 frequently a dataset, say, for the Skeena River
11 sockeye is my favourite, where people will do
12 corrections to the estimates of adult recruits at
13 some later time, because now they've got a dataset
14 available from Alaska about their interceptions of
15 Skeena-bound sockeye that they didn't have before.
16 So they'll go in and correct their estimates.
17 Well, if person "A" corrects his or her estimates,
18 but person "B" who's using the old dataset doesn't
19 get those corrections, they might not even hear
20 about them, they'll do analyses and they'll come
21 up with different answers.

22 So that's why we need a centralized database.
23 There has to be a strong requirement for metadata,
24 metadata are basically descriptions about the
25 data: where did they come from, what sampling
26 methods were used, who did anything to change them
27 from the original, what qualifications are there
28 on their use, or cautions. So I think every data
29 -- pardon me, data from every stock should be put
30 into this kind of database in standardized
31 formats. And this is, to my mind, an obvious
32 thing to have done and it hasn't been done.

33 Q And does it require a large amount of resources to
34 do this work?

35 DR. PETERMAN: Well, I can't speak to that for sure,
36 but I doubt it. I think you need some person as
37 the end person who's controlling the database, and
38 I don't know how you facilitate people at
39 different regions getting access and input and
40 doing quality control, but this must have been
41 done many times over in many different kinds of
42 institutional settings.

43 Q Right. And is there an overall efficiency that
44 would be gained from putting in that investment?

45 DR. PETERMAN: Oh, yes, absolutely. Efficiency is
46 probably the key phrase there. Well, and the
47 other one is sharing standardized data.

1 Efficiency would be increased because you wouldn't
2 have this problem with people going back and
3 forth, figuring out why their analysis was
4 different from someone else's and finding out, oh,
5 my data weren't updated since you updated yours.

6 MS. BAKER: Thank you, Mr. Commissioner. Those are my
7 questions.

8 THE COMMISSIONER: Thank you.

9 THE REGISTRAR: The hearing will now recess for 15
10 minutes.

11
12 (PROCEEDINGS ADJOURNED FOR MORNING RECESS)
13 (PROCEEDINGS RECONVENED)
14

15 THE REGISTRAR: The hearing is now resumed.

16 MR. SPIEGELMAN: Good morning. For the record, my name
17 is Jonah Spiegelman, counsel for the participant,
18 Government of Canada. I just have a few questions
19 for these witnesses this morning. The Commission
20 counsel's direct took care of most of the
21 clarifications I wanted to make on this report.
22

23 CROSS-EXAMINATION BY MR. SPIEGELMAN:
24

25 Q And I will begin with a little bit of exploration
26 on the concept of productivity and why you chose
27 to use that for this report. And I guess the most
28 basic point that I would ask you to comment on is
29 that, notwithstanding your choice of productivity
30 as the measure to evaluate for the report, would
31 you agree that overall abundance of fish is really
32 the measure that's of most significance to the
33 users of the resource?

34 DR. PETERMAN: Yes, absolutely. But in order to
35 understand the changes in abundance, one needs to
36 know not only the changes in spawners but how
37 effective they are at producing adults so that
38 productivity measure is critical.

39 Q Thank you. In the time series that you used to do
40 your analysis, you stated previously that the 2010
41 data was not available at the time that you
42 prepared your report. I'm just curious if you can
43 comment on whether the 2009 return data was part
44 of those time series?

45 DR. PETERMAN: Yes, we had 2009 return data.

46 Q Notwithstanding that it wasn't incorporated in
47 your analysis, can you say what the 2010 data

1 might have done to the analysis or the trends that
2 you generated?

3 DR. PETERMAN: Well, from what I've seen, and I guess
4 these are unofficial estimates, there was
5 apparently about 29 million adults that came back
6 to the Fraser in 2010. And if you look at the
7 number of spawners that produced those adults, it
8 goes back to the recruits-per-spawner measure of
9 about six, which is about what we observed
10 throughout the 1960s and '70s. And so that
11 productivity wasn't particularly unusual. It
12 happened to be on top of a very good spawning run
13 in 2006. So the two combined, going back to the
14 historical average productivity with the
15 relatively high spawner abundance, meant that we
16 had very high total returns.

17 Q Right. And you described briefly today, and also
18 in your report, the Kalman filter technique, which
19 I understand is used to sort of smooth out the
20 trends taking away the high and low points. Is
21 that a fair general estimation or description?

22 DR. PETERMAN: Exactly, exactly.

23 Q Given that smoothing of those trends, would you
24 expect that, for example, the low year in 2009 and
25 high year in 2010, might have been smoothed out as
26 anomalies in the analysis that you have done?

27 DR. PETERMAN: Well, as we just went over, we didn't
28 have any 2010 data.

29 Q Right. But had you had that, would the smoothed
30 trend maybe not dipped quite so sharply across all
31 of these time series?

32 DR. PETERMAN: Well, yes, it probably would not have
33 dipped, continued to be as low, if we had added
34 the 2010 data in there. But that would only have
35 been true for whatever Fraser sockeye stocks had
36 unusually high values. I have not yet seen the
37 stock-by-stock breakdown of the total returns from
38 2010.

39 Q At a general level, is it possible that the Kalman
40 filter technique and the smoothing of the trends
41 that it achieves could result in some anomalous
42 years looking like trends once it's smoothed,
43 especially if those anomalous years are at the end
44 of a time series?

45 DR. PETERMAN: Yes, actually the end of the time series
46 is the part of the dataset that we're least
47 confident in. And that's true of any kind of

1 analysis like this where you're estimating trends
2 and that's just the nature of the information. So
3 it is true that what we're doing with the Kalman
4 filter method is smoothing out some of those
5 bumps, some of the deviations, above average
6 productivity from below average productivity, that
7 happens on a year-to-year basis. And I can say,
8 though, that we did some simulations - well, we
9 published them 11 years ago - where we set up a
10 computer model where we generated what is known as
11 the "true" time trends in productivity. We
12 generated some data from those that represented
13 the type of data we get out in the field from
14 catch and the spawner statistics. And then we
15 asked with the Kalman filter, what representation
16 of the "true" trend do we get? Is it good or is
17 it a poor representation? We found out that
18 compared to other methods that were available, the
19 Kalman filter method was the best one, estimating
20 the "true" time trend in productivity. So it is
21 definitely not perfect - no method is perfect -
22 but it is the best that we've got.

23 Q Right. And just picking up on one point you made,
24 if you had the least confidence in the end of a
25 time series and your primary conclusion is that
26 the end of these long time series is where you see
27 these sharp declining trends, does that in any way
28 weaken the conclusion of your report, or can you
29 comment on that?

30 DR. PETERMAN: It might weaken it a bit but not much.
31 I think the extent of those decreasing trends that
32 we saw, that is, they're at least a decade long in
33 most cases, would not be affected by this lower
34 confidence of the most recent data point. By the
35 most recent data points, I'm talking about the
36 most recent, two, three, four years. Brigitte, do
37 you want to add to that at all?

38 DR. DORNER: No, that's exactly what I would say, that
39 yeah, the last couple of data points have the
40 least influence on what the Kalman filter shows.
41 And yes, it lags behind a little bit but that
42 affects only a few years. So a 15-year trend
43 would not be explainable by, you know, anomalies
44 in Kalman filter estimates.

45 Q Okay.

46 DR. PETERMAN: Good question.

47 Q In general, would you attribute the difference

1 between the 2009 and 2010 years to be noise in the
2 data or is there something that we can valuably
3 learn from examining that distinction?

4 DR. PETERMAN: Well, as I said a few minutes ago, if my
5 understanding is correct, that we had about 29
6 million sockeye returning to the total Fraser
7 watershed in 2010, then that is a dramatic change
8 in recruits-per-spawner compared to what we've
9 seen in the last decade. That value ranged about
10 -- it was about ten -- or pardon me, it was about
11 six for the decades, '60s and '70s, and then has
12 dropped down continuously since then. So to have
13 it move up from where it was close to one, as I
14 recall, up to six is a dramatic shift. So I
15 wouldn't call that noise.

16 Q Right.

17 DR. PETERMAN: But one year does not make a trend so I
18 think that's obvious, too, right?

19 Q Yeah. Do you think that those who are searching
20 for causes of the decline and looking for causal
21 mechanisms should not focus too much on the long-
22 term trends but really focus on year-to-year
23 variation? Is there value to those distinct and
24 stochastic events that may help explain what's
25 happening?

26 DR. PETERMAN: Well, that's a good question. I guess
27 this is a matter of scale, that is, what is one
28 interested in here, in this Commission? I suspect
29 it is more the long-term trend than the year-to-
30 year variation around the trend. In order to
31 understand causal mechanisms in salmon population
32 biology or almost anything, it is useful to have a
33 wide range of conditions in which you've observed
34 the purported disturbance and the response, the
35 response being productivity here and the
36 disturbance being something like predators or
37 pathogens or contaminants. If you have a narrow
38 range of conditions for the contaminants, for
39 instance, you won't be able to test that
40 hypothesis very well. So to the extent that
41 there's been some wide range in conditions, as we
42 have had in spawner abundance, for instance, that
43 helps us delineate some confidence in certain
44 hypotheses.

45 Q Thank you. I'm going to move away from the Kalman
46 filter issue and to ask a couple of questions
47 about the use of the scale graphs that we had a

1 look at earlier today.

2 DR. PETERMAN: All right.

3 Q And my understanding of how those graphs are
4 scaled is that essentially the amplitude of
5 whatever trend you've identified in the data has
6 been standardized to fit the size of the graph
7 that you have?

8 DR. PETERMAN: Exactly. Well --

9 Q And so maybe not exactly.

10 DR. PETERMAN: Yeah, I mean that's, okay, good enough
11 for now anyway. Keep going.

12 Q Would you agree that to a lay reader, just looking
13 at your graphs, that the presentation of your
14 results in that manner could be potentially
15 misleading in that one may assume that the decline
16 in a given stock, as compared to another stock, is
17 similar when, in fact, the magnitude of that
18 decline is quite different?

19 DR. PETERMAN: Okay. In terms of the magnitude,
20 absolutely, you're right. Okay. So maybe, Mr.
21 Lunn, if we could go to Figure 9 on page 49,
22 please? And let's just take as simple a graph as
23 possible. How about the lower right one, the
24 Fraser Late. Okay. So remember that what this is
25 now, this is scaled values. So we've taken these
26 Kalman filter estimates of the productivity and
27 put them on a scale that would make all the stocks
28 comparable so that we can say, yes, they've got a
29 similar trend, or, no, they don't in terms of
30 about when the trend starts upward or starts
31 downward.

32 The reason we did that is, let's assume that
33 we're back one step before we scaled the data, and
34 we had just the raw estimates of Kalman filter
35 values. So the Cultus stock, the blue triangles
36 there, maybe in the Kalman filter estimate the
37 parameter might be a value of 2 at the start of
38 the series in 1950. And it went down from 2 down
39 to 1.2, something like that. Okay? Whereas,
40 let's say the Birkenhead had a value up more like
41 3 at the start of the series, so it would have
42 been way higher, and it went down to 2.5, just as
43 an example. So you wouldn't be able to see as
44 well what the shared variation was, visually, as
45 you can now when we see these scaled numbers.
46 However, it is true that the magnitude essentially
47 is from maximum-to-minimum for each of these

1 patterns.

2 So the absolute range in productivity might
3 be smaller. The absolute loss in productivity for
4 the Birkenhead stock over the time trend might
5 have been smaller than that for the Cultus in
6 absolute value. But it makes it harder then to
7 see where the time trends are occurring because we
8 had those graphs -- well, we've got those graphs
9 actually in an appendix, if you want to see them,
10 Appendix P-1 and P-2. But do you want to go there
11 or not?

12 Q Well, I was going to point out that those -- that
13 those unscaled values are in the appendix and ask
14 you to agree that for those investigating the
15 causes, it's important to go beyond just the body
16 of the report and tend to see how the relative
17 magnitude -- like that data is in there.

18 DR. PETERMAN: Absolutely.

19 Q And it's important to go past the main body and
20 into those appendixes in order to get the full
21 picture?

22 DR. PETERMAN: Yes, well, thanks for pointing that out.
23 That is true for the data that we sent to all the
24 people who were working as contractors for the
25 Commission on these various hypotheses. We sent
26 them the raw data of Kalman filter estimates,
27 absolute values, not scaled.

28 Q Okay.

29 DR. PETERMAN: So they've got those for sure. But
30 that's a good point. For anyone else that didn't
31 receive the data directly from us, along with an
32 explanatory note, yes, they should be aware that
33 those raw values are in Appendices P-1 and P-2.

34 Q And is it possible and, if so, are there any
35 examples of scaled values and graphs that show
36 very similar trends over time where one population
37 has a declining trend in productivity but is still
38 above replacement value, whereas another
39 population that has a declining trend in
40 productivity but has dropped below replacement
41 value, which would have implications for the
42 sustainability of that stock?

43 DR. PETERMAN: Yes, absolutely. So the scaled values
44 will not show that difference. You'd have to go
45 to the raw values in Appendices P-1 and P-2.

46 Q Okay, thank you.

47 DR. PETERMAN: And you'll see in some of those cases

1 that the time trends will go below value 1, which
2 means the recruits are not replacing the spawners
3 that produced them. But those are all back there
4 in the back. And in most cases, you don't get
5 that trend getting that low but it is definitely
6 true that if you're interested in finding out why
7 a particular stock is declining at some rate
8 compared to another stock should be using those
9 raw values at the Kalman filter productivity
10 parameters.
11 Q Right. I just raise that because one of the
12 mandates of the Commission is to investigate and
13 make recommendations for the future sustainability
14 of the stock.
15 DR. PETERMAN: Yes, okay.
16 Q So to the extent that stocks have the same looking
17 scaled trend, it may not have the same
18 implications for the sustainability of those
19 stocks; is that fair?
20 DR. PETERMAN: Right. Yeah, absolutely.
21 Q Thank you.
22 DR. PETERMAN: Did you want to add anything, Brigitte?
23 DR. DORNER: Just that the A values are in the log
24 scales so it's not one but zero. The replacement
25 value.
26 DR. PETERMAN: Oh, yes, that's right, that's right. So
27 in those appendices, the replacement value is zero
28 rather than one because it's a natural log of the
29 number. Technical detail that anyone who goes to
30 use them should know anyway.
31 Q You gave some evidence earlier today on your
32 conclusions regarding overescapement. And I would
33 just like to bring your attention --
34 MR. SPIEGELMAN: Mr. Lunn, if we can pull Exhibit 73
35 up?
36 Q And I have that document in a white binder for you
37 as well, Dr. Peterman.
38 DR. PETERMAN: Let's see, which one is that? Is it the
39 transcript from -- yeah, okay. This one?
40 Q That's the one, yes.
41 DR. PETERMAN: Pacific Salmon Commission Workshop from
42 June 2010?
43 Q That's right.
44 DR. PETERMAN: Yes, okay.
45 Q And this is a document that you were involved in
46 the preparation of; is that correct?
47 DR. PETERMAN: That's right. I chaired the workshop

1 and led the expert panel that put the report
2 together.

3 Q Okay. If I can just bring us to page 86 of that
4 document?

5 DR. PETERMAN: Okay.

6 Q And the last paragraph of section 4.7.5? It's
7 written here that:

8
9 The Panel's opinions about the effect of
10 delayed density dependence on the long-term
11 decline in Fraser sockeye productivity ranged
12 from likely to possible to unlikely as a
13 contributing factor.

14
15 Based on the analysis you've done and the report
16 presented today on delayed density dependence, do
17 you think that this new information would change
18 that conclusion at all?

19 DR. PETERMAN: Well, it would for the Quesnel stock. I
20 would say knowing what we know now we would argue
21 that the delayed density dependence probably
22 played a role in the long-term decline of the
23 productivity of the Quesnel stock but it does not
24 relate to the non-Quesnel Fraser stocks. And I
25 should point out, by the way, that this paragraph
26 that you've pointed out here has two time periods
27 associated with it. The first sentence relates
28 only to the long-term trend so the panel had some
29 considerable disagreement, given the evidence they
30 had at hand about how important delay density
31 dependence was in driving the long-term trends of
32 the Fraser sockeye productivity. But we all
33 agreed in the last sentence there that delayed
34 density dependence was very unlikely to have
35 played a role in the 2009 drop.

36 Q Thank you. And I'll finish off here with just a
37 couple of questions on the recommendations that
38 you were discussing before the break. And I
39 believe that you indicated that you thought few
40 resources would be required to implement a data
41 sharing scheme. And then you carried on to talk
42 about how the data that does exist is in disparate
43 format and it was difficult for you to make it
44 match up nicely for you analysis; is that fair?

45 A Yes, that's correct.

46 Q Now, given the importance of these long-term
47 datasets for analysis like you've done in this

1 report and other quantitative fish research, can
2 you comment at all on the challenges that may be
3 faced in implementing such a recommendation in
4 terms of going back and keeping the integrity of
5 these long-term datasets and putting them together
6 into a database such as you described?

7 DR. PETERMAN: Well, I honestly can't speak too much to
8 the specifics of it because I haven't done it and
9 so I don't know what the institutional barriers
10 are. I can't imagine that they would be very
11 difficult to overcome, though, and I think it's a
12 matter of committing some people to some time to
13 do it. I have seen or read about other
14 institutions that have large databases, whether
15 they're for economic or business reasons or Census
16 reasons or whatever. They've got a very
17 standardized procedure for collecting, inputting,
18 checking and distributing data. So I think it's
19 long past time when this should be done.

20 Q In terms of actually creating the database using
21 existing historical data, though, and perhaps this
22 is a better question for Dr. Dorner. Can you
23 comment on the labour-intensiveness of actually
24 putting that together with the data that's out
25 there currently?

26 DR. PETERMAN: Brigitte, you want to take it?

27 DR. DORNER: Well, there would be initially some effort
28 involved getting the old data in there. But I
29 think, you know, in terms of overall effort, that
30 will be offset by considerable savings in the long
31 term because once you have that database it's
32 going to be much easier for the individual
33 agencies to keep it up-to-date than it is right
34 now to try and match up data that aren't matching
35 because they have to do that, too, of course.

36 Q Right. And has the work that both of you did on
37 this project that's being discussed today, does
38 that go some way to creating such a collection of
39 this data that may be useful moving forward?

40 DR. PETERMAN: Oh, yes, definitely. For this
41 particular purpose, it's a unique dataset but it's
42 limited in the number of variables that we have
43 obviously. There are three variables: spawners,
44 adults produced and, in a few cases, juvenile
45 abundances.

46 Q What other variables do you think might be
47 valuably collected in this kind of --

1 DR. PETERMAN: Well, I think almost anything that
2 biologists have gathered that relate to trying to
3 understand the dynamics that these populations
4 would be worthwhile having in such a database. So
5 this would be information on body size, condition
6 factor, which says how large they are relative to
7 their length and reflect something of their
8 feeding history and health, age structure,
9 obviously, the exact locations of where they were
10 caught and how they were discriminated by stock,
11 which methods were used.

12 Q This sounds to me like there's a lot of different
13 pieces to this puzzle and there would be a lot of
14 different scientists, who would have to come
15 together to contribute to something like this.

16 DR. PETERMAN: Yes, that's right. But I don't think
17 it's totally unwieldy. Like I said, it's a matter
18 of commitment and, as Brigitte pointed out, the
19 benefits in the long run would be considerable.

20 Q Can you comment at all on the need for science
21 professionals in order to get funding to do
22 projects and to have sort of professional
23 development to use the results of their work to
24 publish papers in order to raise their
25 professional profile?

26 DR. PETERMAN: Well, I guess what you're asking is, how
27 important is it to have access to the data?
28 Because this is essentially what we do in academia
29 and research scientists in all the agencies that
30 I've just discussed also have publications as one
31 measure of their professional development and
32 promotion and differs among agencies and among
33 positions within agencies. But it's certainly the
34 case that having access to data and ability to
35 talk to the people who collected them and who can
36 give you the cautions about using them is really
37 important.

38 And I would also put, more importantly,
39 though, than the measure of need that you just
40 described, a personal measure, there's a much
41 wider need for decision-makers to have access to
42 very high quality scientific advice when making
43 difficult trade-off decisions. So the more people
44 who have looked at this data, the better. And
45 it's not appropriate to have only one person
46 analyzing a dataset, say, as important as the
47 Fraser sockeye, to give scientific advice to the

1 decision-makers. I'm not saying that has been the
2 case but I'm just saying that having that openness
3 of the data is very important.

4 MR. SPIEGELMAN: Okay. Thank you. Those are my
5 questions.

6 DR. PETERMAN: Thank you.

7 MR. PROWSE: Cliff Prowse for the Province, Mr.
8 Commissioner. My questions have been covered by
9 my two friends in front of me so I don't have any
10 questions.

11 MR. LEADEM: Good morning, Mr. Commissioner.

12

13 CROSS-EXAMINATION BY MR. LEADEM:

14

15 Q Good morning, Dr. Peterman, and good morning, Dr.
16 Dorner. I think you're joining us from Lasqueti
17 Island, are you not?

18 DR. DORNER: That's right, yeah.

19 Q I have a couple of questions on a number of topics
20 and let me tell you where I'm going to go and then
21 I'll get there in sequential fashion. The first
22 line of questions will deal with a very
23 significant caveat that you gave to all of us here
24 that we're dealing with an ecosystem and so we're
25 dealing with a very complex issue and I want to
26 expand on that or want you to expand on that with
27 us.

28 DR. PETERMAN: Okay.

29 Q Then I want to move to the causes or the causes
30 that you've eliminated and the causes that still
31 remain. To the extent that you can comment on
32 those, I'm going to probe you. And then I will
33 move to the recommendations that you make, which
34 my clients are totally in agreement with. And
35 finally, I will end up with outliers and how they
36 can help us understand what is going on and what
37 is not going on. And I should indicate for the
38 record that I represent the Conservation Coalition
39 and that we come from the perspective of
40 conservation first and we're concerned about the
41 fish from that perspective.

42 So looking at your report, page 13 of your
43 report, I think you give us a very important
44 caveat that I want you to expand upon. At the
45 bottom of the page, you say:

46

47 An important concept for readers to keep in

1 mind when considering the evidence presented
2 in this and other scientific reports to the
3 Commission is that ecological systems are
4 dynamic and constantly change across time and
5 space.
6

7 And then you go on to say that it is very unlikely
8 that if we're looking for a cause for the 2009
9 decline, that we're not going to find a single
10 cause. It's more likely that there's going to be
11 an interaction of causes or interaction of
12 stressors or interaction of things. And I wonder
13 if you could just expand on that from an
14 ecological/biological perspective?

15 DR. PETERMAN: Certainly. Well, I think it's true in
16 all of the ecological literature, not just the
17 literature dealing with fish, that we had these
18 dynamics occurring as a result of several
19 simultaneously operating processes. And the key
20 phrases there are "simultaneously operating
21 processes". It is often the case that one of
22 those processes might dominate the others in
23 affecting the population dynamic. So for
24 instance, you might have, let's take an example
25 with fish that we know as severely overfished, and
26 that's the northern cod on the east coast, so
27 there is a mechanism there that was obviously
28 causing a decrease in productivity and abundance
29 of that stock but simultaneously there was also an
30 environmental change happening so that the ocean
31 was coming cooler, the currents had changed and so
32 that has led to a debate about, well, what was the
33 relative importance of fishing compared to
34 environmental changes, the processes that were
35 affecting the fish, the food supplier, the
36 predators?

37 And this is a very typical thing that we
38 observe in research on mechanisms causing changes
39 in any kind of organism, is it's often the case
40 that you cannot tease apart these multiple
41 mechanisms just by observation of the natural
42 system. It's not always the case but it's often
43 the case. And that's why scientists try to do
44 experiments or we manipulate some purported cause
45 of the observed change that we've seen in the
46 past. We want to say, okay, if we control it
47 ourselves, know when we start and where we start

1 and we have multiple replicates then we can have
2 greater confidence that, oh, yes, that mechanism
3 was important or it's not. So I think the caution
4 is simply a reminder of what most ecologists are
5 aware of, that looking for a single cause we might
6 be lucky, we might find that but more than likely,
7 in my opinion at least, and I think Brigitte
8 agrees, it's not likely we're going to find that
9 single smoking gun, so to speak.

10 Q And the problem with being a proponent of a
11 manipulative experiment is it's just there's
12 questions of costs that are associated with it, as
13 well as if you're trying to examine a hypothesis
14 that might be convoluted, it's very difficult to
15 keep all the factors constant, all the variables
16 constant so that you can then focus upon the one
17 variable that you will change. Isn't that true?

18 DR. PETERMAN: That's exactly right. And there are all
19 sorts of costs, as you mentioned. I mean,
20 biological costs, financial costs, social costs of
21 any kind of controlled manipulation. So they're
22 not easy to do.

23 Q I want to now go on to page 65 of your report,
24 right at the very top of the page. This is found
25 under a heading, "State of the Science". And you
26 make a point that the causes for the similarity
27 that appear in the data that you've derived, the
28 causes have not been investigated in this study.

29 DR. PETERMAN: Right.

30 Q And yet you go on to make some intriguing
31 suggestions. And I want to just focus upon some
32 of the intriguing suggestions you make there. One
33 is that there's a mechanism that operates in a
34 larger regional spatial scale and you say, "such
35 as climate-driven, oceanographic changes". And I
36 want to just probe you a little bit there because
37 if, in your data, we saw that the Bristol Bay and
38 the western Alaska stocks actually are doing quite
39 well compared to the other southeast Alaska, all
40 the way down to Washington stocks, do we know
41 enough about the migration pattern or what happens
42 in the ocean for the western Alaska stocks to know
43 that there's not mixing, or, do you know if there
44 are mixing of those stocks in the ocean?

45 DR. PETERMAN: Yes. Okay. So my answer will have a
46 few parts to it.

47 Q Okay.

1 DR. PETERMAN: So the first part is, yes, we do know
2 something about the ocean distribution of, say,
3 the Bristol Bay stocks compared to the Fraser
4 stock, well, the B.C. stocks in general. And
5 there is an overlap in space and time in the Gulf
6 of Alaska, such that they share whatever processes
7 are affecting their survival rates: predation,
8 food supply. And we don't know the exact
9 distributions, of course, there are far too few
10 samples or too few years. But it appears from
11 what evidence exists that there is an overlap in
12 the summer and winter months for, say, the Fraser
13 stocks that go to sea as juveniles. They're out
14 there sharing the environment with Bristol Bay
15 stocks by that first winter. Okay?

16 So the period that's different in terms of
17 the ocean conditions felt by the fish in the
18 Fraser compared to Bristol Bay would be in that
19 first, say, six, eight months of ocean life. So
20 the Fraser are on a bit different track along the
21 coastal continental shelf along the west coast and
22 the Alaskan stocks that are coming down through
23 the Aleutian Islands during that time. And then
24 only in winter, I believe, is when they start
25 overlapping. And then they remain overlapped
26 until they start going back to their home rivers
27 late in the ocean life, which would be during the
28 last year of their life.

29 Q So does that assist you in hypothesizing that
30 insofar as there's an overlap and we know that the
31 western Alaska stocks are doing reasonably well in
32 comparison to the southeast Alaska's down south
33 stocks. Does that tell you that maybe there's
34 something happening along the migration path of
35 the southeast Alaska stocks and the Fraser River
36 stocks that is affecting them in a way that is not
37 obviously affecting the western Alaska stocks?

38 DR. PETERMAN: Yes, well, that would be my opinion.
39 And I want to emphasize we did not do any data
40 analysis in this report on that topic.

41 Q Yes.

42 DR. PETERMAN: However, based on other research that my
43 colleagues and I have done and that other
44 researchers have done, I would definitely say that
45 that is the case. We found, for example, that the
46 sea surface temperature encountered by the
47 juveniles, as they enter the ocean in their first

1 summer of life, is a reasonable indicator of the
2 conditions that would affect their survival rates.
3 And what we found is that for all the stocks in
4 this case from the central coast down - this is
5 from the study we published in 2002 so nine years
6 ago - data up to that point showed that for the
7 stocks from the central coast down, when the sea
8 surface temperature is above average, when the
9 smolts hit the ocean, they tend to have lower
10 productivity on average than when the ocean is at
11 a moderate temperature level.

12 The converse is true for the Alaskan stocks.
13 When the Alaskan stocks enter the ocean that's
14 warm, their productivity seems to be higher or it
15 is higher. I shouldn't say seems to be. The data
16 show it. So the returns-per-spawner are higher
17 for the Alaskan stocks, the central Alaskan and
18 western Alaskan stocks when they enter warm
19 oceans. But the opposite's true for B.C. stocks.
20 So this suggests that whatever indicator is
21 represented by sea surface temperature, which is
22 only an indirect indicator of a lot of different
23 processes operating in the water mass, that's a
24 different set of mechanisms in the south than it
25 is in the north.

26 Q Okay. I want to go onto a couple of the other
27 things that you say might be responsible. One of
28 them is widespread predation. And we're going to
29 hear from Dr. Trites and other doctors on that
30 topic. I think it's Project Number 8. So we'll
31 be hearing from them in due course as to whether
32 or not that is something that can account for the
33 declines.

34 DR. PETERMAN: Right.

35 Q And I gather you won't want to comment on that
36 without hearing from their evidence or knowing
37 what it is that they say?

38 DR. PETERMAN: Well, that's right. I don't have any
39 evidence directly on the predation hypothesis but
40 I guess again, and just to come back to this
41 general point, this would apply to all the
42 proposed mechanisms causing decrease in
43 productivity of Fraser stocks, you'd have to ask
44 yourself, what is the spatial distribution of the
45 mechanism that someone's evaluating? And have
46 they only looked at the Fraser? Or have they
47 looked at it on the larger scale?

1 Q Right. Okay. And I'll be sure to ask some of
2 those kinds of questions that you're asking right
3 now when they appear in a couple of weeks' time.
4 DR. PETERMAN: Okay.
5 Q You also then go on to say "or pathogen-induced
6 mortality". Are you familiar with some of the
7 work that's being done with respect to the virus
8 and the genomic signature for the viral genomic
9 signature that Dr. Kristi Clark has been done?
10 DR. PETERMAN: That's Kristi Miller, I believe?
11 Q Kristi Miller.
12 DR. PETERMAN: Yeah, yeah, that's right.
13 THE COMMISSIONER: How are you voting?
14 MR. LEADEM: I'm not going to tell you that. I might
15 get myself into too much trouble, Mr.
16 Commissioner.
17 THE COMMISSIONER: You surprise us every day.
18 DR. PETERMAN: Yes, I've heard Kristi Miller talk on
19 two different occasions about her research and, in
20 fact, one of the times was in the Pacific Salmon
21 Commission workshop in June that we just referred
22 to earlier. And I have not read any of her papers
23 on this topic.
24 MR. LEADEM:
25 Q All right. So you can't comment on whether or not
26 that's something that you would think would be
27 valuable to consider in terms of looking at
28 factors that might contribute to the decline?
29 DR. PETERMAN: Well, I think it would definitely be
30 something worth looking at, absolutely.
31 Q Right.
32 DR. PETERMAN: But I do not have any data to evaluate
33 that hypothesis. Again, for these kinds of
34 studies, you're just doing observational studies
35 and not actual manipulations, planned
36 manipulations. You have to look for appropriate
37 comparison groups hoping that one purported
38 mechanism would be present in this group of stocks
39 and not present in the other in order to increase
40 your confidence in your conclusion. So that would
41 apply to this one as well. Are there samples that
42 do or do not show this immune response from fish
43 that haven't shown the kinds of trends that we've
44 shown, and, is that pattern shown, the immune
45 response shown in all the stocks that show the
46 pattern that we show? Those are the kinds of
47 questions that I think everyone needs to ask about

1 their mechanisms.

2 MR. LEADEM: Mr. Commissioner, I'm about ready to move
3 onto the recommendations. And when we return from
4 lunch, Dr. Peterman and Dr. Dorner, I want to
5 review some of the recommendations with both of
6 you and to ask you for some clarification on
7 those.

8 DR. PETERMAN: Okay.

9 THE COURT: Thank you very much, Mr. Leadem.

10 THE REGISTRAR: The hearing is now adjourned until 2:00
11 p.m.

12
13 (PROCEEDINGS ADJOURNED FOR NOON RECESS)

14 (PROCEEDINGS RECONVENED)

15
16 THE REGISTRAR: The hearing is now resumed.

17 THE COMMISSIONER: Mr. Leadem.

18 MR. LEADEM: Tim Leadem for the record, appearing for
19 the Conservation Coalition.

20
21 CROSS-EXAMINATION BY MR. LEADEM, continuing:

22
23 Q Drs. Peterman and Dorner, I was thinking I would
24 leave the causes, but I just wanted to come back
25 to the one cause that you could unequivocally
26 overrule -- eliminate, and that was whether or not
27 over-escapement had lead to the decline of the
28 2009 and preceding years that we've seen exhibited
29 through your data. You weren't alone in that. In
30 fact, two of your reviewers also came to that same
31 conclusion after reading your report; isn't that
32 correct?

33 DR. PETERMAN: Yes, as I recall, that's right.

34 Q And I'll just take you there just so that we can
35 put this into the record. If you turn, for
36 example, to page 82 of your report, there's some
37 commentary from a reviewer by the name of David
38 Welch. That's Dr. David Welch; is that right?

39 DR. PETERMAN: Yes.

40 Q And he's a well-respected fisheries scientist, is
41 he not?

42 DR. PETERMAN: Yes.

43 Q And at page 82, number 1, he says:

44
45 The authors conclude that there is little to
46 no evidence in support of the theory that
47 Fraser River sockeye escapements have been

1 excessive (a point of view that Prof Walters
2 has been a particular champion of) and have
3 reduced the productivity of the stocks. I am
4 satisfied from Peterman and Dorner's results
5 that this is not the case - and this should
6 allow the Commissioner to strike one
7 possibility off the rather dauntingly long
8 list of possible causes for the Fraser River
9 sockeye decline.

10
11 So it would appear that Dr. Welch is in full
12 agreement with you on that point; is that right?

13 DR. PETERMAN: That's the way I interpret it.

14 Q And then if we go to page 89, Dr. Sean Cox is a
15 colleague of yours from the Simon Fraser
16 University and a well-expected fisheries
17 biologist, is he not?

18 DR. PETERMAN: Yes, that's right.

19 Q And, at number 1 under strengths, he says:

20
21 Finally, the report conclusion that over-
22 escapement is probably overrated (sorry, but
23 I paraphrased the conclusion) will hopefully
24 limit what can be a distracting debate.

25
26 So I take it from that, that he was also in
27 agreement with you, and that that's how you would
28 interpret that remark as well?

29 DR. PETERMAN: Yes, that's right.

30 Q Now, on to the recommendations, and those I would
31 find in your report beginning at page 65. As I
32 indicated to you earlier, my clients are in full
33 agreement with these recommendations so my
34 questions are simply to flesh out in greater
35 detail some of the mechanisms by which these
36 recommendations can be put into place.

37 I want to start with recommendation 2,
38 because I think that's a really valuable
39 recommendation that you've made to us, Dr.
40 Peterman and Dr. Dorner. You suggest that there
41 be some sort of an organization, more or less an
42 amalgamation of scientists, and you point to, in
43 the very last sentence of the reasoning under
44 recommendation 2:

45
46 ...an informal international group of
47 scientists working on the topic of "Salmon

1 Ocean Ecology" --

2
3 I wonder if you could tell the Commissioner a
4 little bit more about that group, how often it
5 meets and who are some of the members.

6 DR. PETERMAN: Certainly. Well, in fact, this group
7 just met last month down in Seattle, and it is not
8 an annual event, but it's every few years and the
9 group is normally composed of agencies' scientists
10 from the U.S. and Canada who are all working on
11 topics related to ecology of salmon in the ocean.
12 So there's been a lot of comparison of notes by
13 people and findings from Oregon, for instance, and
14 the important role of oceanographic factors there
15 with studies up in Alaska and in between.

16 So it is a very informal group, though, so I
17 don't think there's any special funding they have
18 for coordinated research. It's more people coming
19 together, reporting on what they've been finding,
20 sharing notes and then going back and maybe
21 changing the direction on what they're doing based
22 on what they heard.

23 Q You would like to see that process formalized, I
24 take it, to a more significant extent than what
25 exists already?

26 DR. PETERMAN: Yes. I think that would go a great deal
27 towards resolving one of the issues that we
28 address here indirectly, and that is the
29 communication issue. And the coordination issue
30 is the second one, coordination in terms of
31 research activities, research questions that are
32 being posed and data that are being collected to
33 address those questions. So if it could be
34 coordinated across a larger scale, I think it
35 would accelerate the gaining of knowledge that's
36 relevant to the management of these important
37 species.

38 Q Now, you're familiar, of course, with the United
39 Nations Food and Agriculture Organization. I
40 think you wrote some papers for them, or wrote at
41 least a paper --

42 DR. PETERMAN: One, yeah, was co-author on the
43 Precautionary Approach document, '95.

44 Q Yes. That was back in 1991 --

45 DR. PETERMAN: That's correct.

46 Q -- you wrote that about the precautionary approach
47 that's applied to capture fisheries and species

1 introductions.

2 DR. PETERMAN: That's right.

3 Q And would that organization be something that
4 perhaps we could link into or that could be --
5 this could perhaps foster this kind of an
6 organization that we'd been discussing and you've
7 been discussing in recommendation 2?

8 DR. PETERMAN: No, it didn't strike me that that would
9 be relevant. The FAO tends to deal with more
10 catch statistics among the world's countries, and
11 that's their main mandate, I think.

12 On more regional scales, I think they would
13 look to the regional organizations. So the
14 regional -- well, do you want me to continue on,
15 on what possible regional organizations there
16 might be here?

17 Q (Nods yes).

18 DR. PETERMAN: Okay. So there are a couple of obvious
19 ones. The first one is the NPAFC, the North
20 Pacific Anadromous Fish Commission, and that's
21 composed of all the nations that fish salmon, so
22 from Korea, Japan, Russia, right through U.S. and
23 Canada. That organization has been around for
24 several decades, but they are mainly focused on
25 collating catch statistics, coordinating efforts
26 to enforce the ban on high seas driftnet fishing,
27 for example, and other such activities. They
28 don't really conduct research as an institution.

29 The research group that might be an
30 appropriate one would be PICES. It's the Pacific
31 version of what's in Europe called International
32 Council for the Exploration of the Sea.

33 Q Yes.

34 DR. PETERMAN: But this, it's called the Pacific
35 Science -- PICES, P-I-S -- P-I-C-E-S. I'm trying
36 to think of what it stands for. Actually, there
37 is no direct translation as I recall because it
38 was a take-off on the European organization, ICES.
39 They just added a "P" in front of it to become
40 "P", Pacific version of collaborative scientists
41 from the region.

42 So that includes scientists from all the
43 nations I just listed plus China, so China, Korea,
44 Japan, Russia, U.S., Canada. And they have had
45 limited success, I think, in establishing large-
46 scale coordinated research programs of the type
47 that Brigitte and I are talking about here. They

1 certainly have done some, but they obtain funding
2 from their own countries, usually. There might be
3 some large pool of international funds available
4 as well.

5 Q That gives us a couple of good leads. I take it
6 that scientists generally get together, and when
7 they do, there's a wide dissemination of ideas and
8 it leads to further collaboration amongst the
9 scientists. And that's to be fostered, that free
10 exchange of ideas among scientists. Would you
11 agree with that concept?

12 DR. PETERMAN: Oh, yes, definitely. Conferences are
13 always a big source of collaboration. Ideas come
14 up and we decide we want to compare notes. For
15 example, this Pacific Salmon Ecology meeting I
16 just was at last month, I developed a couple of
17 contacts with people and my Ph.D. student is going
18 to be visiting their labs this summer for some
19 extensive work.

20 Q Now, you were instrumental in hosting that
21 workshop that was conducted last June on the --

22 MR. LEADEM: I think it's Exhibit 73, Mr. Lunn.

23 Q This was the proceedings from the workshop, the
24 "Synthesis of Evidence from a Workshop on Decline
25 of the Fraser River Sockeye". How did that
26 workshop come into being? How was it organized
27 and who was instrumental in pulling all of that
28 together?

29 DR. PETERMAN: Well, as I understand it, the Pacific
30 Salmon Commission was the organization that
31 instigated it, so as you know, this is an
32 international group that has members from Canada
33 and the U.S. The Canadian representative, I
34 think, was Paul Sprout, at the time Regional
35 Director General of DFO who, in talking with Larry
36 Rutter, the U.S. representative, decided that
37 having this workshop would be a good idea, try to
38 pull out as much evidence as possible, really, to
39 the decline in Fraser sockeye, in particular the
40 2090 (sic) then, but also looking back further.

41 So they collectively contacted me to ask
42 whether I would chair this workshop and help them
43 choose a panel of experts who would help sort
44 through the evidence, and then also pick who the
45 speakers might be to present evidence.

46 Q Moving on to the recommendations, recommendation 3
47 talks about sharing of databases and storage and

1 sharing of databases.

2 DR. PETERMAN: Mm-hmm.

3 Q And, Dr. Dorner, I want to turn over to you
4 because I understand that you've had a lot of
5 experience, and your expertise is more in the
6 database and the statistical side. Do I have that
7 right?

8 DR. DORNER: Well, I have a degree in computer science.
9 I'm not exactly a database expert, but I can
10 probably answer to your questions.

11 Q Right. I'm wondering if you have some things that
12 you can offer the Commission with respect to what
13 form the database should take and how to go about
14 setting up some framework for that database to
15 protect the data that's in there from being
16 corrupted and from being manipulated.

17 DR. DORNER: Well, since it's going to be a
18 collaborative database, it should probably be some
19 form of SQL database --

20 Q Yes.

21 DR. DORNER: -- probably available online to all the
22 people that would be participating, but beyond
23 that, it would require some considerable research
24 to see what would be the most appropriate system,
25 probably a lot of interaction too with the
26 potential users, what kind of features they would
27 like to see there.

28 Q And do you, both of you, envisage like a database
29 that's readily accessible to the scientists who
30 are doing research into this field?

31 DR. DORNER: Well, from our perspective as scientists,
32 that would certainly be the ideal state of
33 affairs. Whether the agencies would be prepared
34 to share all the data is a different question, but
35 from the perspective of science, yes. Shared
36 would be best.

37 DR. PETERMAN: Yes, I agree with that.

38 Q And then moving on to recommendation 4, this deals
39 with the need to increase a number of sockeye
40 stocks for which the agencies estimate juvenile
41 abundance either as out-migrating smolts or fall
42 fry. We've heard some evidence about this
43 already. I think Dr. Riddell may have spoken a
44 bit about this in terms of his studies and work on
45 out-migrations from Chilko.

46 I take it from this that you, as scientists,
47 would like to see more datasets be available to

1 you from the out-migration so that you would then
2 have more of a dataset array from which you can
3 sample. Is that what you're suggesting here?

4 DR. PETERMAN: Well, yes, in general terms, yes. I
5 would phrase it a little more specifically. I
6 guess the ideal situation would be to have
7 abundance measures at various life stages of any
8 given population so that when something like this
9 decrease in productivity over a long time happens,
10 you can try to parse out or separate out where, in
11 the life history, most of that change is
12 occurring.

13 If you only have abundance estimates at the
14 start of the life cycle, the spawners, and the end
15 of the life cycle, adult recruits, you can't tell
16 where in time or in space the processes might have
17 been operating that caused the changes you
18 observe, whether it's an increase in productivity
19 or a decrease. So these juvenile databases are
20 extremely important in that regard. You at least
21 create two life stages where you've got some data.

22 But they're logistically challenging of
23 course, and expensive, so we understand the
24 reasons why there aren't a lot of them on the
25 coast.

26 Q You reference the fact that the -- as far as you
27 are aware, the long-term datasets on juveniles in
28 the Skeena River sockeye series was stopped.

29 DR. PETERMAN: Yes, that's right. I think 2002 was the
30 last year for smolt abundance on the Skeena, if
31 I'm not mistaken, and it was a long series prior
32 to then, several decades.

33 Q And your final recommendation, recommendation 5,
34 talks about the need for better research,
35 particularly the residents in the marine
36 environment. We discussed this briefly when I was
37 asking you questions about the Western Alaska
38 stocks and the degree to which they may or may not
39 mix with Fraser River sockeye.

40 To my way of thinking, you know, not much is
41 known about what goes on in the ocean, and we've
42 heard some evidence from Dr. Riddell and others,
43 and I think Dr. Welch, about telemetry will only
44 go so far in terms of the ability to track the
45 animal so that if you are trying to track the
46 migration of smolts, either from Cultus or Chilko,
47 you lose them right after -- once they go to Queen

1 Charlotte Sound. You're familiar with that
2 research, are you?

3 DR. PETERMAN: Yes, I am.

4 Q Do you have any concrete suggestions of what types
5 of research projects should be the focus upon
6 ocean research?

7 DR. PETERMAN: What's your budget? Seriously, this is
8 the problem. Ocean research is extremely
9 expensive so you have to be very strategic in what
10 it is you're trying to sample and why, and what
11 questions you're trying to answer. So, honestly,
12 I don't want to be, you know, flippant, but it is
13 difficult for me to answer that question.

14 Clearly, anything that we can do to better
15 understand the nature of the mortality agents that
16 are affecting the fish as they move from the time
17 when they leave, the period when they're estimated
18 in fresh water, to when they come back. It would
19 be added information to what we've got now. I
20 actually didn't just say in the ocean, because I
21 want to emphasize for these nine populations for
22 the Fraser sockeye for instance, where we have
23 juvenile estimates, there is some substantial
24 freshwater periods where some changes might be
25 occurring that are very important to our overall
26 life span estimates of productivity.

27 But based on a huge amount of research by a
28 lot of other people over the past several decades,
29 it is clear that there are very important
30 processes operating in the ocean that influence
31 salmon and I think we've seen instances, for
32 instance, this climatic shift in the mid-1970s
33 that has been well documented as improving the
34 survivor rate of salmon, not just sockeye, in the
35 north, by the way, in the north, but also pink
36 salmon.

37 So there's clearly something going on in the
38 ocean, and I think the challenge is figure out a
39 way to do this efficiently and with the funds
40 available.

41 Q If we go back to your recommendation 2 where you
42 were postulating that it would be good to have a
43 group of scientists who shared information, would
44 the suggestion or the topic for research be
45 something that those group of scientists could
46 come to some agreement with so that if you're
47 limited with respect to funding, and you wanted to

1 be really refined with respect to what research
2 project you're going to see conducted out,
3 wouldn't you want the best minds of science on
4 salmonids applying their selves to that particular
5 question?

6 DR. PETERMAN: Yes, absolutely. And, in fact, that's
7 one of the recommendations that we made from this
8 June 2010 workshop that the Pacific Salmon
9 Commission put on, was to have a coordinated
10 effort among all the scientists relevant to salmon
11 survival.

12 One of the biggest challenges that I've had
13 as a fisheries scientist in the past, and many
14 others have had, is that you'll get one study on,
15 say, predation on salmon in one river, and another
16 study on diseases on salmon in another river, and
17 another study on contaminants in salmon in yet
18 another river, and you can't put them all
19 together. What would be necessary in this case,
20 in particular, is the coordinated effort among all
21 the scientists involved to simultaneously take
22 samples on the same groups of fish over,
23 preferably, several years, and also gather data on
24 the physical oceanographic variables and other
25 physical variables, non-biological variables that
26 are relevant. So both biological and physical
27 variables need to be gathered.

28 If I can just give you one quick instance of
29 this sort of thing happening, unfortunately it's
30 not in Canada, but -- it's in the U.S. So several
31 years ago a big research program happened in the
32 -- started in the Bering Sea. They now have --
33 its acronym is called BASIS, B-A-S-I-S. It is an
34 incredibly integrated and coordinated research
35 system in the sense that there are people
36 gathering data on all parts of that Bering Sea
37 ecosystem simultaneously on a regular temporal and
38 spatial grid. So they're going out and sampling
39 the physical variables in the ocean and the
40 biological variables for the food supply, the
41 predators, the competitors, all this
42 simultaneously across a grid of points in the
43 Bering Sea.

44 Now, this is very expensive, of course, and
45 maybe only the U.S. can do this, I don't know, but
46 it's a matter of priority. So if we really want
47 -- if it turns out that the ocean processes are

1 driving what we've seen here in terms of
2 decreasing productivity - and that's an "if" - if
3 that's true, then that's where it's really going
4 to take us is a coordinated effort of all
5 scientists looking at all aspects of survival
6 processes for salmon.
7 Q Thank you. I want to conclude by taking a look at
8 the outliers, because I think that maybe you would
9 start by agreeing with me that we can learn a lot
10 if we focus upon outliers. They may provide
11 valuable clues into what's going right --
12 DR. PETERMAN: Yes.
13 Q -- in an era of declining stocks, and the one that
14 you specifically focus upon is the Harrison River
15 stock because that has showed an increase while
16 all the other conservation units have shown
17 decreases. Is that right?
18 DR. PETERMAN: Yes, that's right. This one really
19 stands out as a wild population. It's
20 unmanipulated and it is showing a completely
21 different time trend in productivity from most of
22 the rest of Fraser stocks.
23 Q And you pointed out in your paper that they have a
24 different life history strategy and I won't go
25 over that. I think we all know that they tend to
26 migrate out to sea much more quickly, they're not
27 reared in lakes and so forth, and they also have a
28 different migration pathway.
29 DR. PETERMAN: Sorry, if I could just correct something
30 you just said?
31 Q Certainly.
32 DR. PETERMAN: No, no, there's not evidence that the
33 Harrison fish migrate out to sea more quickly.
34 Q Okay.
35 DR. PETERMAN: If anything, it's the other way around.
36 From Dick Beamish's studies, I believe the
37 Harrison fish hang around in the Gulf of -- pardon
38 me, the Strait of Georgia --
39 Q The estuary.
40 DR. PETERMAN: -- the Strait of Georgia longer than do
41 the other Fraser sockeye smolts.
42 Q All right. I was referring to, I guess, the
43 Salish Sea. Or they migrate out to the saline
44 environment much more quickly than the other --
45 DR. PETERMAN: Yes, well, earlier in their life
46 history, that's right. The Harrison fish migrate
47 out in their first year of life as fry, small

1 silver (phonetic) ground fish, as opposed to
2 staying over winter and rearing up to much larger
3 body size in a lake, which is what most of the
4 rest of the Fraser sockeye do. That's right.

5 Q And you also mentioned -- thank you for the
6 correction. You also mentioned they had to
7 simulate different migration pathway than some of
8 the other Fraser River sockeye. Rather than
9 exiting through the northern part of the Gulf of
10 Georgia, they actually exit through the Strait of
11 Juan de Fuca and up the west coast of Vancouver
12 Island.

13 DR. PETERMAN: Yes. And again, as I think I said,
14 that's rather very limited evidence. I think it
15 was one study that noticed that. They really
16 haven't been identified as separate individuals in
17 these other studies to say that was an exceptional
18 year. There's only this one case. Where the
19 Harrison have been shown, oh, these are Harrison
20 fish and, look, they went out the Strait of Juan
21 de Fuca.

22 Q So that leads me to conjecture, or to start to
23 hypothesize in this way, and maybe you can correct
24 me if I don't have this right, that either there's
25 some stressors in the environment that the
26 Harrison River sockeye are not encountering, and
27 the other Fraser River sockeye are, or there's
28 something else about the Harrison stock that
29 distinguishes it.

30 Could it be that it may be something even in
31 their genetic make-up, which may be equated with
32 this life history strategy that they've assumed,
33 that separates them? I mean, are we talking about
34 a stressor in the environment that they're
35 avoiding by the life history strategy, or is this
36 something in their genetic make-up that allows
37 them to survive the same stressor? Can we say one
38 way or another?

39 DR. PETERMAN: Well, I don't think we can say
40 definitely one way or the other, but I suspect
41 that a genetic basis is not likely to be the
42 contributor here to the difference. If anything,
43 I would say something like body size would be. So
44 the Harrison fish, being smaller at the time when
45 they go to sea compared to the other Fraser
46 sockeye, might make them less vulnerable to
47 whatever stressor it is that's causing mortality

1 for the other fish. That's one more likely
2 possibility than the genetic one.
3 Brigitte, did you want to add to that at all?
4 DR. DORNER: No, I think I agree. The other
5 possibility that I would keep in mind is the
6 timing of migration, that perhaps the other fish
7 go through something that hurts them at a
8 different time than the Harrison do, and so the
9 Harrison aren't as much affected.
10 Q Right. Do we know when the Harrison actually exit
11 the Salish Sea and go out to the Juan de Fuca and
12 head to the Gulf of Alaska?
13 DR. PETERMAN: Somebody does, but not me, I'm afraid.
14 Do you know that, Brigitte?
15 Q Okay. Maybe we'll get that from someone else?
16 DR. DORNER: I do not know.
17 Q And do you know anything about whether they mix
18 with the other stocks of fish in the Gulf of
19 Alaska? You talked about the overlap earlier.
20 DR. PETERMAN: Not an overlap -- I don't know about the
21 overlap in the Gulf of Alaska, but I do know that
22 from the studies that Marc Trudel did in the Queen
23 Charlotte Sound, which is just north of the
24 northern end of Vancouver Island, that he sampled
25 the Harrison fish, the Lake Washington fish, west
26 coast of Vancouver Island fish and some of the
27 other Fraser stocks in the same region.
28 Q Right.
29 DR. PETERMAN: So they come together at that point in
30 their northward migration, at least.
31 Q Now, the other outlier that I think was mentioned,
32 not so much in your paper but in some of the
33 commentary, was the Okanagan stocks. Obviously
34 that goes up the Columbia, then into the Okanagan.
35 And you weren't able to, as I understand it, use
36 the dataset from that particular stock because it
37 had not gone back the requisite number of years so
38 you weren't going to be able to compare apples and
39 apples. Is that a fair statement?
40 DR. PETERMAN: Yes, that's what I understand, so when
41 I put out the request for datasets in this
42 particular case to the appropriate agencies, it
43 came back that, no, they weren't available. So at
44 least it didn't meet our criteria, and our
45 criteria were at least ten years of data for which
46 we have been able to adequately separate the
47 catches from mixed-stock fisheries into the

1 specific stocks. So it's unfortunate, because I
2 know there is considerable interest in the
3 Columbia pathway for these sockeye.
4 Q Dr. Dorner, did you have something to add? Sorry,
5 I didn't see your hand raised. I'm not used to
6 looking over to my left here.
7 DR. DORNER: Yeah. I would just like to add the
8 Okanagan dataset itself is actually quite long,
9 but what they don't have is recent age records,
10 and that makes it impossible for us to actually
11 assemble the recruit data, so we do have return
12 data but not the spawner recruit data that we
13 would need to calculate productivity.
14 Q I see. But you would agree that the clues provide
15 -- that the Okanagan stuff may provide some clues
16 as well to what's going on with respect to the
17 Fraser River sockeye; is that right?
18 DR. PETERMAN: Yes, I'm sure another stock would help,
19 especially when farther south. We only have the
20 Lake Washington stock that's farther south than
21 the Fraser. On the other hand, you have to keep
22 in mind that the Columbia will have some
23 considerable manipulation, human-caused
24 manipulations that could affect it as well.
25 Q Yes, sure.
26 DR. PETERMAN: Right. But then several other stocks in
27 our group have such manipulations too, not nearly
28 to that extent, though.
29 Q The other and perhaps final outlier that I would
30 suggest to you might be worth examining is just
31 the 2010 return. Obviously, if you look at the
32 patterns of decline over the last decade or so, it
33 stands out in stark contrast to that. So you
34 would agree with me, then, that examining the 2000
35 return and trying to discern --
36 DR. PETERMAN: 2010, you mean?
37 Q 2010 return.
38 DR. PETERMAN: Yeah.
39 Q And trying to discern what factors were present
40 that enabled those fish to have -- not only
41 survive but have historically good productivity
42 would be valuable; is that right?
43 DR. PETERMAN: Absolutely, yes. I think this is going
44 to be an important contrasting situation, 2009 and
45 2010 years, and I hope you'll hear about this from
46 the other researchers who are studying the various
47 mechanisms because you'll have to ask yourself,

1 for any given mechanism, did the salmon exposure
2 to that mechanism change that dramatically in
3 those two years to explain the difference in total
4 returns that we've seen -- or, pardon me, to
5 explain the difference in productivity, the
6 returns per spawner, or I've seen.

7 MR. LEADEM: Thank you both. Thank you, Dr. Dorner.

8 DR. PETERMAN: Thank you.

9 MR. LEADEM: Thank you, Dr. --

10 THE COMMISSIONER: Mr. Leadem, just before you sit
11 down, I wonder if I -- because you may have
12 something to ask arising out of this, but Dr.
13 Peterman, can I ask you this?

14

15 QUESTIONS BY THE COMMISSIONER:

16

17 Q Mr. Leadem took you to page 66 in your
18 recommendations 2 and 3.

19

DR. PETERMAN: Yes.

20

Q In recommendation 2, you use the language:

21

22

All agencies in Canada and the U.S.A. that
manage or conduct research on sockeye
salmon...

23

24

25

And then you give your rationale for that. In
recommendation 3, you talk about:

26

27

28

All agencies involved with salmon research...

29

30

DR. PETERMAN: Ahh.

31

32 THE COMMISSIONER: And over the page, again in
33 recommendation 4, you say "salmon management" and
34 "salmon migration". What I would find helpful is
35 because this Commission is focused on Fraser River
36 sockeye salmon, if you could tell us what your
37 views are under those recommendations with respect
38 to the topics you've raised there, which is the
39 data issue, in terms of are you talking across all
40 the species that should be collected? That's
41 really what I'd like to know from you.

42

43

But secondly, whether you can say in order to
understand what you're getting at there, which is
this kind of an analysis on sockeye, is it
necessary to have the same kind of analysis done
on all salmon species to make sense of what's
going on?

44

45

46

47

1 DR. PETERMAN: Okay. Yes, thanks for catching that. I
2 was I was a little -- Brigitte and I were not
3 quite as careful as we should have been in
4 sticking in "sockeye" in front of "salmon" where
5 we should have.

6 So it's certainly true that for
7 recommendation 2, it does apply to sockeye salmon
8 and all other species for that matter. It would
9 be a good idea to know about what's going on with
10 the other species to the extent that there's some
11 interaction between species.

12 At some point, I might address the issue that
13 was raised in our Pacific Salmon Commission's
14 workshop in June about interactions with pink
15 salmon, for example. So if we didn't have
16 abundance data on pink salmon, we'd be a little
17 worse off than we are now where we do have some.

18 So, yes, but I think you're right that, say,
19 for recommendation 3, well-structured databases,
20 because sockeye really, the economically most
21 important species, they're important for this
22 Commission by definition, that these comments
23 could be restricted to the sockeye without much
24 loss in impact.

25 THE COMMISSIONER: I'm sorry, Mr. Leadem, I didn't know
26 whether you might have anything arising out of
27 that.

28 MR. LEADEM: No, thank you, Mr. Commissioner.

29 THE COMMISSIONER: Thank you very much.

30 MR. HARVEY: I think I'm up next. It's Chris Harvey
31 for the Area G Trollers and the United Fishermen
32 and Allied Workers' Union.

33
34 CROSS-EXAMINATION BY MR. HARVEY:

35
36 Q Dr. Peterman, your paper is very interesting in
37 its implied search for a long-term sharing
38 mechanism explaining the decline. I say "implied"
39 because you say you don't deal with cause --
40 causation, but you certainly provide information
41 from which others can draw conclusions relating to
42 causation.

43 If we look at page 128 of your report --

44 MR. LUNN: Sorry, Mr. Harvey, did you say 128?

45 MR. HARVEY: One-twenty -- yes, this is page -- this is
46 Exhibit 748, Report 10, page 128.

47 Q This graph, more than the earlier ones, has a

1 group of blue squares towards the bottom left.

2 DR. PETERMAN: Yes.

3 Q And I say that's more than the earlier ones.

4 MR. HARVEY: If you go back to 127, for example, Mr.
5 Lunn.

6 Q We don't see that to the same degree. But at page
7 128 we do. The areas, the runs in those areas,
8 apart from the Washington run, are all Canadian
9 runs; is that correct?

10 DR. PETERMAN: Now, I'm not exactly sure which area
11 you're describing. So the --

12 Q 128 from north --

13 DR. PETERMAN: Yes.

14 Q North coast down.

15 DR. PETERMAN: Yes. On the left side, from north coast
16 down, they're all Canadian except for the
17 Washington stock --

18 Q Yes.

19 DR. PETERMAN: -- that's in the middle there.

20 Q Yes. Now, we don't have any evidence I don't
21 think, so far, with respect to the style of
22 fisheries management in Washington, but we've
23 heard a little bit about the style of fisheries
24 management in Alaska.

25 DR. PETERMAN: Mm-hmm.

26 Q It could be, could it not, that the mechanism that
27 is shared here that accounts for this, is that
28 from the north coast down on this graph, we have
29 fisheries managed according to the policies of the
30 Department of Fisheries and Oceans in Canada. In
31 the upper part of the graph, we have fisheries
32 managed according to different policies. That
33 could be a possible sharing mechanism that one
34 would want to examine apart from Washington, the
35 Washington Lake; is that...?

36 DR. PETERMAN: Well, you could examine that if you
37 want, but I guess the question that I would ask is
38 what aspect of the management process would lead
39 to a change in the productivity - remember the
40 adults produced per spawner - that would cause
41 this positive correlation among the B.C. stocks
42 that would not also cause it among the Alaskan
43 stocks for instance.

44 Q Yes.

45 DR. PETERMAN: Frankly, I can't think of one.

46 Q You can't think of one, but you did mention a
47 moment ago when one is looking for mechanisms,

1 other mechanisms, hypotheses, one would want to
2 test them against your results.

3 DR. PETERMAN: Yes, in general, sure, that's good
4 science.

5 Q Yes.

6 DR. PETERMAN: But I guess this question kind of falls
7 in the same category as asking whether en route
8 mortality of the fish going upstream in the Fraser
9 has an explanatory value for the declining trends
10 in productivity, recruits per spawner, and --

11 Q Yes.

12 DR. PETERMAN: -- I say in that case, it doesn't
13 because the en route mortality is not included in
14 the dynamics of that life stage that was looked
15 at.

16 So I'm just thinking out loud here. Brigitte
17 might have a different viewpoint. But I'm trying
18 to think what is it that could be shared by the
19 management actions between when the fish leave the
20 spawning grounds as juveniles and come back as
21 adults that would cause the kind of shared trends.
22 I just can't think of what that would be.

23 Q No, no, yeah, I'm sorry. Now I understand what
24 your problem is. But you do agree, don't you,
25 that the - and I think you said this - that it may
26 be possible that something has occurred to the
27 out-migrating smolts in their freshwater life
28 stage that affects their rate of survival in the
29 ocean. That's a possibility?

30 DR. PETERMAN: Yes.

31 Q Yes, all right. And the freshwater stages of the
32 runs from the north coast down, apart from
33 Washington, are managed by the Department of
34 Fisheries and Oceans, and the freshwater stages of
35 the other stocks are managed under a different
36 regime, obviously. You'd agree with that?

37 DR. PETERMAN: Well, again, I'm not sure what you mean
38 by managing freshwater stage. I'm sorry, I'm
39 being a little technical here, perhaps. Maybe you
40 don't mean it that way. But fisheries management
41 affects usually the adults, unless you're looking
42 at enhanced populations, in which case we're
43 manipulating the freshwater survival rates through
44 hatcheries or spawning channels.

45 Q Well, in particular, the analysis of the carrying
46 capacity of the freshwater system, and how that
47 works in with the escapement that the fisheries

1 manages determine is optimum, those are all --
2 those matters --
3 DR. PETERMAN: I see.
4 Q -- are governed by different regimes in Canada
5 than they are in the U.S.
6 DR. PETERMAN: Okay, I see what you mean. Yes, you're
7 right.
8 Q Yes, all right. Now, this graph leads one to
9 suppose that there might be some north/south
10 influences happening here that one should look at,
11 because the blue areas fall more readily in the
12 south and the red areas more readily in the north.
13 That leads me to ask you why you did not include
14 Columbia River data in your analysis?
15 DR. PETERMAN: Okay. The reason is that the data were
16 not sufficient to address our request to have
17 total adults recruits produced by the spawners
18 that they were estimating. We requested the
19 Columbia data, but we did not receive it.
20 Q Who did you request it from?
21 DR. PETERMAN: DFO. So we put in a standard request.
22 There's a long list of stocks for which --
23 Q Yes.
24 DR. PETERMAN: -- we want the data, and that was one of
25 them.
26 Q So how did you get your Washington data?
27 DR. PETERMAN: I went to Washington Department of Fish
28 and Game, Kyle Addicks.
29 Q Couldn't you go to the same people to get the
30 Columbia? Well, except I suppose it would be
31 Oregon.
32 DR. PETERMAN: No, see, the stock we're talking about
33 here is the Okanagan sockeye which migrates down
34 through the Okanagan, obviously --
35 Q Yes. Yes.
36 DR. PETERMAN: -- into the U.S., into the Columbia
37 River and then out. So the assessment process for
38 the Okanagan sockeye is the responsibility of DFO.
39 Q Yes. Well, there's -- the DFO have that data,
40 surely, do they not?
41 DR. PETERMAN: That's what I thought. Well, yes, they
42 have some data but, again, the question that I
43 asked was, "Do you have data that's sufficient for
44 our purposes?" I described the purposes. All
45 salmon biologists know what a salmon brood table
46 is in terms of having the number of spawners and
47 then the number of adult recruits that are

1 produced by them. In order to get the adult
2 recruits, as Brigitte said, you need to have age-
3 structured data, and to do the kind of analysis we
4 did, you want at least ten years of data,
5 sequentially.

6 Q Yes. So --

7 DR. PETERMAN: So apparently -- excuse me, if I could
8 just add one thing -- one response that came back
9 was, from DFO to our request, was "the following
10 stocks, we do not have sufficient data to meet
11 your criteria for the following stocks" and the
12 Okanagan sockeye was one of them.

13 Q Well, the return side, the recruit side would come
14 from the U.S. authorities, correct? The number of
15 salmon that arrive from the sea to the river
16 mouth.

17 DR. PETERMAN: That would be both. Well, they're
18 caught also in Canadian fisheries on the way down
19 the coast, as I understand. But also the U.S.,
20 yes, definitely.

21 Q And but the spawner -- the spawning numbers for
22 Osoyoos Lake and Lake Okanagan would be Canadian
23 data.

24 DR. PETERMAN: That's correct.

25 Q Are you saying that that data doesn't exist?

26 DR. PETERMAN: All I'm saying is what we heard back
27 from DFO is what I said. The Okanagan did not
28 meet our requirements which spelled out that we
29 needed at least ten years of data with appropriate
30 age-structure data.

31 Q Did you ask them once, or did you persist?

32 DR. PETERMAN: Well, I know I mentioned it indirectly
33 to people on the phone once more. That was it.

34 Q Because the -- but are you aware that in the
35 Columbia, there have been what, for the Columbia,
36 was record returns in 2008, 2009 and 2010?

37 DR. PETERMAN: I certainly heard about the large 2010
38 run. I was not aware of the 2008 and 2009.

39 Q All right. If there were record runs returned in
40 2008, 2009, it would confound the picture
41 presented here on page 128, wouldn't it, in that
42 you would have a -- you may well have a rising
43 trend, an increasing trend in productivity in the
44 Columbia apart from the northern U.S. rivers, one
45 doesn't see.

46 DR. PETERMAN: Yes. I would say if the description
47 that you gave is correct about the time trend and

1 abundance for the Okanagan sockeye, then it would
2 be similar to the latter part of the Harrison
3 River sockeye returns, for instance, going in a
4 different direction than the others.

5 But I should point out that the Okanagan
6 sockeye has a hatchery on it. I can't tell you
7 what percentage of the fish are produced by
8 hatchery as opposed to wild, but I think it's a
9 significant contribution. Furthermore, there've
10 been major manipulations in the waterflow regimes
11 and in various project control activities on the
12 Columbia system. So I don't know how comparable
13 that would be in terms of being not as wild a
14 stock as the Fraser sockeye are.

15 But it's a fair point. We would be much
16 better off if we had had Columbia data.

17 Q Yes.

18 DR. PETERMAN: I would have liked it.

19 Q Are you aware of this at least, that the recruits
20 or the spawning levels in the Osoyoos-Okanagan
21 system have been determined to be substantially
22 less than the carrying capacity of the Okanagan
23 system?

24 DR. PETERMAN: I wasn't aware of that, no, but I'm not
25 surprised to hear it.

26 Q All right. And that is a feature also of the
27 Harrison, is it not?

28 DR. PETERMAN: I can't speak to that. I don't know
29 about what the spawner abundance is relative to
30 the spawning capacity, or rearing capacity.

31 Q Perhaps I could refer you to Report number 4.

32 MS. BAKER: Mr. Commissioner, report number 4 was not
33 on the list of documents Mr. Harvey provided in
34 advance of this hearing, and it has not been
35 tendered in evidence yet in the hearings. So that
36 does pose some problems, I think, for this
37 witness. It's not an exhibit and it's not been --
38 there's no notice given, yet Mr. Harvey has given
39 us notice of a long list of documents, but not
40 Project 4.

41 MR. HARVEY: Well, that's correct, but this is not an
42 adversarial hearing, and what I'm attempting to do
43 is put to this witness what will come up in some
44 subsequent paper to see whether he has any
45 disagreement with it, which I think we should hear
46 about surely.

47 MS. BAKER: I think the process in these hearings has

1 been that the technical reports have not been
2 entered into evidence until they're tendered with
3 their authors, so there's some hesitation, I would
4 say, to put it forward now when those authors have
5 not yet testified as to that report.
6 THE COMMISSIONER: Yes, I understand your point, Ms.
7 Baker. I think the difficulty is I think Mr.
8 Harvey has done that once before, perhaps with Dr.
9 Johannes, with a report that he has raised that is
10 not yet in evidence. Am I correct in that, Mr.
11 Harvey?
12 MR. HARVEY: Yeah.
13 THE COMMISSIONER: I suggest that Mr. Harvey ask his
14 question. To the extent that Dr. Peterman has not
15 seen this report or not considered it, then I
16 think in fairness to Dr. Peterman, either he need
17 not answer or he may want to take some time to
18 consider his answer.
19 MR. HARVEY: Yes.
20 THE COMMISSIONER: I just would like to err on the side
21 here of ensuring that if there is something
22 important here to put to Dr. Peterman, that we not
23 lose the opportunity.
24 MR. HARVEY: Yes.
25 THE COMMISSIONER: So I'm going to allow Mr. Harvey --
26 but, Mr. Harvey, if Dr. Peterman needs some time
27 to consider the point, I would certainly give him
28 that opportunity.
29 MR. HARVEY: Mr. Commissioner, I think I can make it
30 easier and less troublesome, because in the
31 Peterman 2010 report, there are appendices and the
32 same information is there.
33 If I could have exhibit -- I'm not sure
34 whether this is Exhibit 573 or 634. It's the
35 Appendix C to the Peterman 2010 report.
36 DR. PETERMAN: The Pacific Salmon Workshop?
37 MR. HARVEY: Yes.
38 MR. LUNN: That's 573.
39 MR. HARVEY: Five-seventy-three, thank you. And it's
40 Session D, Daniel Selbie. It's at -- it doesn't
41 seem to have a number on it. It's 1, 2 -- it's
42 the fifth page in. There's a graph. That's it.
43 If we could just highlight that graph or enlarge
44 it.
45 Q This graph shows -- it's entitled "Adult Sockeye
46 Production Relative to Optimum Capacity in Fraser
47 Drainage Lakes." The greyish -- or the bluish

- 1 colour, I guess, if we take the first one on the
2 left, is the PR model, so that's based on
3 photosynthetic rate as a measure of predicted
4 optimum escapement, and then the green is the
5 maximum observed spawners. Is that as you
6 understand it, Mr. -- Dr. Peterman?
- 7 DR. PETERMAN: Yes, I can see that.
- 8 Q Now, for the Cultus, we'll start with the Cultus
9 on the left, because I think this was somewhat of
10 an outlier in your material. The Cultus has,
11 according to this, an optimum escapement capacity
12 - I've been calling it carrying capacity -
13 significantly greater than the maximum number of
14 spawners observed; is that correct? Am I reading
15 this correctly?
- 16 DR. PETERMAN: Well, it's -- yes, essentially, so the
17 purple bars, I believe, show the estimate of the
18 number of spawners required to produce the maximum
19 number of smolts.
- 20 Q Yes.
- 21 DR. PETERMAN: Not the maximum number of adults, but
22 the maximum number of smolts.
- 23 Q Yes. And it's based on a habitat assessment of
24 what that particular lake system can support.
- 25 DR. PETERMAN: That's right.
- 26 Q All right. So the Cultus has that feature, that
27 apparently the stocks put into that system have
28 not reached anywhere near the maximum carrying
29 capacity. The next one is the Harrison. You see
30 it has the same feature.
- 31 DR. PETERMAN: Yes.
- 32 Q Whereas, while we're here, if we go across, the
33 Chilliwack is the other way around. The Lillooet
34 is the other way around, Seton is the same
35 feature, carrying capacity greater than the
36 escapement. Similarly, the Anderson, the Adams.
37 When we get to the Shuswap it's dramatically the
38 other way around, you see. The maximum of
39 spawners far in excess of the carrying capacity,
40 if I could call it that. I'm interpreting that
41 correctly, am I?
- 42 DR. PETERMAN: Yes.
- 43 Q Yes. And the Chilko has the same feature and the
44 Quesnel has the same feature. Am I interpreting
45 that correctly?
- 46 DR. PETERMAN: Yes, that's right.
- 47 Q All right. So if we -- I was asking about the

- 1 Harrison, and having looked at that, would you
2 agree that one of the features of the Harrison
3 system is that the maximum number of spawners
4 that have been put into that freshwater system
5 have been far short of what is determined on this
6 assessment to be the carrying capacity?
- 7 DR. PETERMAN: Yeah, that's what this graph indicates,
8 although the legend points out it's only brood
9 year 1990.
- 10 Q Yes. Yes. All right.
- 11 DR. PETERMAN: Yes.
- 12 Q So that's the limitation. But you would expect
13 the smolts coming out of the Harrison to be
14 healthy and well-nourished as compared with, say,
15 the smolts coming out of one of the other systems
16 where the escapement has exceeded the carrying
17 capacity. In relative terms, they'd be better
18 nourished and stronger. Can you --
- 19 DR. PETERMAN: Well, all else being equal, which it
20 rarely is, unfortunately. Yes, the different
21 lakes have different systems of --
- 22 Q Yes.
- 23 DR. PETERMAN: -- predators, prey. Furthermore, just a
24 slight correction, the Harrison fish go out as
25 fry, not as smolts.
- 26 Q That's right, oh, I see.
- 27 DR. PETERMAN: What you said, I understand the gist of
28 what you said, yes.
- 29 Q Yes. Yes, I see. They don't go through the
30 smoltification process until, of course, they
31 reach salt water. But the Harrison, you were --
32 you said that is very important -- would be very
33 important for whoever is looking for causation.
- 34 DR. PETERMAN: Yes.
- 35 Q Because there are important clues there. It would
36 seem to me that the differences between the
37 Harrison and the other Fraser stocks lie in the
38 freshwater stage, mainly. Would you not agree
39 with that?
- 40 DR. PETERMAN: No, I don't. From what little
41 information I have, I don't -- again, I'm just
42 speaking from what I know. Brigitte might know
43 differently, but I don't know much about the
44 freshwater life phase of the Harrison fish. What
45 I do know is what I described earlier about the
46 marine phase. That is, they enter the salt water
47 as fry, they stay in the estuary of the Fraser

1 River for a few months. They stay in the Strait
2 of --
3 Q Well, what --
4 DR. PETERMAN: -- Georgia later than the other stocks
5 and they go out to sea by the Strait of Juan de
6 Fuca apparently.
7 Q Well, they can't enter salt water as fry, can
8 they? I thought --
9 DR. PETERMAN: Yes.
10 A -- the definition of a smolt is a juvenile fish
11 that is capable of -- has made the change from
12 existing fresh water to existing salt water.
13 DR. PETERMAN: Right, okay. This is a bit of a
14 terminology problem unfortunately. Even
15 biologists have it. So the smoltification process
16 is a physiological process --
17 Q Yes.
18 DR. PETERMAN: -- where the fish change over from
19 having a freshwater physiology to a saltwater
20 based physiology. But that happens at a very
21 small size for the Harrison fish in the year in
22 which they hatch. So they go to --
23 Q Yes.
24 DR. PETERMAN: -- sea as fry, and I guess when you say
25 they hit saltwater, maybe you call them smolts.
26 We don't, we usually call them fry.
27 Whereas the other Fraser sockeye stay over in
28 fresh water over one winter and the following
29 spring obviously, and then they change into
30 smolts, go to sea.
31 Q Yes.
32 DR. PETERMAN: So this is minor terminology difference.
33 I think it's whether we call them smolts or fry is
34 probably not the key problem here. Just call them
35 early life stage and late life stage if you want,
36 or seaward migrants.
37 Q Yes.
38 DR. PETERMAN: Seaward migrants would handle it,
39 actually.
40 Q All right. They're smaller when they reach salt
41 water than the other Fraser River --
42 DR. PETERMAN: Yes, that's right.
43 Q Okay. But the smoltification process in all these
44 fish has to take place when they reach salt water.
45 DR. PETERMAN: Yes, exactly.
46 Q But surely the -- well, one distinguishing feature
47 of the Harrison is that if there are stressors in

1 the other Fraser River stocks, in the freshwater
2 system, the Harrison stocks are less likely to
3 suffer from those stressors.
4 DR. PETERMAN: You're saying because they're there for
5 a shorter period?
6 Q Yes.
7 DR. PETERMAN: That would seem logical, yes.
8 Q Yes. All right. And the other difference may be
9 what we've seen in this chart that's still up on
10 the board that the carrying capacity of the lake
11 is significantly greater than the escapement.
12 That may or may not be a similarity, depending
13 which stocks one is comparing it with.
14 DR. PETERMAN: Right. There are several other Fraser
15 stocks that have that same association as you
16 pointed out already.
17 Q Yes. Now, was I right that the Cultus - 'cause
18 I'm unsure about this - that the Cultus do not
19 show the same declining feature as the other
20 stocks you examined?
21 DR. PETERMAN: Actually, they do. So the Cultus, if
22 you look -- well, if you care to look on Figure 9
23 - but I don't want to distract you from your plan
24 of argument - but the Cultus actually do show a
25 declining trend in productivity from the Kalman
26 filter estimates.
27 Q When did it start?
28 DR. PETERMAN: About 1980.
29 Q I see. All right. Barkley Sound, is that -- was
30 that an outlier showing a different trend?
31 DR. PETERMAN: Well, Barkley Sound, the Great Central
32 and Sproat Lake stocks in other words, showed a
33 different trend than most of the Fraser sockeye in
34 the sense that they did have a decline, a sharp
35 decline in the late '90s and early 2000s, but they
36 had a higher productivity in the late '90s than in
37 the early '90s.
38 Q Yes. So -- I see.
39 DR. PETERMAN: But there's some stocks of the Fraser
40 Summer Run, for instance, that have that same
41 pattern.
42 Q Yes. And I think you said the central coast, that
43 is, the Rivers Inlet, Smith Inlet stocks have that
44 pattern?
45 DR. PETERMAN: Yes, that's right.
46 Q All right. With respect to the Rivers and Smith
47 Inlet stocks, the -- what happened with respect to

1 those stocks is this, is it not - and tell me if
2 this general picture is wrong - that there was an
3 experiment conducted there starting in the early
4 '80s to increase the escapement expecting that it
5 would produce greater returns, increasing the
6 escapement by more than double what it had been,
7 and the higher returns did not come in. What had
8 been a steady fishery was - perhaps the word
9 totally destroyed is too strong - but it was
10 severely impacted and when in the '90s we see this
11 -- by the time we get to the '90s, there was very
12 much reduced escapement in those areas. That
13 might well explain the rising trend in the '90s.
14 Perhaps we should look at your chart. I
15 think it's at page 51.
16 DR. PETERMAN: Yes, that's the chart for the recruits
17 per spawner.
18 Q The central coast is in the upper right-hand
19 quadrant?
20 DR. PETERMAN: That's correct.
21 MR. HARVEY: So could we enlarge that?
22 Q So generally, it shows from where this begins,
23 looks like in the late '60s or thereabouts,
24 relatively steady until the late '80s when it
25 starts to decline.
26 DR. PETERMAN: That's right. And then the late '80s
27 onward to the mid-'90s, the productivity goes
28 down, and then it starts going back up in the
29 early '90s.
30 Q Early '90s.
31 DR. PETERMAN: Right. So it is true that the spawner
32 abundance was increased for both those Smith Inlet
33 -- or, pardon me, Owikeno Lake and Long Lake.
34 Q Yes.
35 DR. PETERMAN: In fact, it might be useful just to take
36 a quick look at those data. We have those data at
37 page 12 of Appendix P-1, Mr. Lunn. It could be
38 the next page, I think. Maybe I counted wrong.
39 Keep going, please? Oh, yeah, there they are,
40 there they are, yup. Okay, so the bottom two
41 left-hand --
42 Q Bottom right?
43 DR. PETERMAN: -- column, Long Lake and Owikeno Lake.
44 So here the blue triangles are the spawners. So
45 you'll see that in the mid-'90s through to 2000,
46 for Long Lake, the spawner abundance was going
47 down, and the productivity went up. Then the

1 productivity went down sharply again starting in
2 the early 2000s -- well, a little bit before then
3 actually.

4 You've got to be a little careful in
5 translating these time periods, though. I have to
6 tell you that these Kalman filter values on the
7 right are smooth, remember. So we can't look at
8 specific years and say something happened in the
9 year "x" and it's exactly reflected right away in
10 the Kalman filter smooth trends. But, in general,
11 what you can see is that the Long Lake spawner
12 abundance has gone down from about mid-1980s
13 through 2000, then it went up for two years, and
14 then back down again.

15 Owikeno Lake, the opposite. You had a slight
16 bump upwards. So if you just scroll down a little
17 bit, yes, so that like about '97 brood year, the
18 spawners jumped up for the Owikeno Lake, and yet
19 the productivity also went up as you see on the
20 right.

21 Q On the left, the blue graph is spawners; is that
22 right, the blue line?

23 DR. PETERMAN: Yes. And on the right, there are these
24 productivities, so the blue triangles happen to be
25 for the Owikeno stock.

26 Q Yes. Isn't there a consistency between the
27 spawner levels going down in the late '80s, early
28 '90s, and then when we go over to the right, four
29 years later - these are four-year cycles I would
30 take it - the productivity goes up.

31 DR. PETERMAN: No, not quite. Now, these data are all
32 tuned to the same year in the sense that what you
33 see is the brood year.

34 Q I see.

35 DR. PETERMAN: That is, the year of spawning. So the
36 1990 results on the right show you the Kalman
37 filter estimate of productivity from the 1990
38 brood year spawners.

39 Q Yes.

40 DR. PETERMAN: So actually what you were just
41 describing there is not quite right because the
42 spawner abundance for Owikeno Lake went down from
43 the mid-1980s generally through to the mid-'90s,
44 and yet so did the productivity. You look at the
45 Owikeno blue triangles on the right, the
46 productivity went down during that period as well.

47 Q That doesn't seem to be consistent with the

1 evidence we've had on Rivers Inlet, if I could
2 just refer you to that.

3 DR. PETERMAN: Remember, we're talking about the
4 productivity on the right side here, which is the
5 success rate of spawning, so it's how many
6 recruits are produced per spawner. So that's what
7 jumped up in the late '90s. And it did increase
8 in the case of Owikeno Lake. The number of
9 recruits, which is the red dot line on the bottom
10 graph on the left, it did increase the total
11 recruitment in that period. But then it went down
12 again starting the early 2000s.

13 Q So can you make any sense of that in connecting it
14 with the large escapements that took place in the
15 '80s, and then we've got a decline in productivity
16 in '92/'93, is that...?

17 DR. PETERMAN: Right. So I think maybe part of the
18 confusion here is that your expectations of what
19 the productivity on the right might show is solely
20 based on how many spawners there are. And what
21 these data are telling us is that there's
22 something other than just the spawner abundance
23 that's affecting the --

24 Q Yes.

25 DR. PETERMAN: -- productivity.

26 Q Yes. All right. So is this all we can take from
27 the central coast example that whatever was
28 affecting it, apart from spawner abundance, it was
29 affecting it at a different time period than it
30 was affecting the Fraser River stocks?

31 DR. PETERMAN: Yes, I would think that's right. There
32 was something else going on here in the central
33 coast in the mid-'90s, mid-to-late-'90s that
34 wasn't reflected in most Fraser River stocks. I
35 should say "most" because there are some that
36 showed that upward trend, the Fraser Summers, in
37 fact, three of the stocks -- no, sorry, two of the
38 stocks.

39 Q Yes. Okay. I'd like to look next, getting back
40 to the Fraser to Exhibit 73 which is the Pacific
41 Salmon Commission Workshop.

42 MR. HARVEY: Actually, I wonder if that's a convenient
43 time for a break.

44 THE COMMISSIONER: Certainly, yes.

45 THE REGISTRAR: The hearing will now recess for ten
46 minutes.

47

1 (PROCEEDINGS ADJOURNED FOR AFTERNOON RECESS)
2 (PROCEEDINGS RECONVENED AT 3:21 P.M.)
3

4 THE REGISTRAR: Order. The hearing is now resumed.
5 MR. HARVEY: Well, I'll proceed, even though we seem to
6 have lost one of our witnesses. All right.
7

8 CROSS-EXAMINATION BY MR. HARVEY, continuing:
9

10 Q Dr. Peterman, I just want to be sure that I've got
11 -- I understand your -- the thrust of your report
12 with respect to residuals and then your Kalman
13 filter. Am I right that your work seeks to
14 identify a decline in productivity that is
15 inconsistent with the Ricker and Larkin Model
16 predictions?

17 DR. PETERMAN: Yes, I guess you could phrase it that
18 way. That's right. So we're fitting those models
19 to explain some portion of the data.

20 Q Yes.

21 DR. PETERMAN: And then what's leftover is telling us
22 about other things besides spawner abundance --

23 Q Yes.

24 DR. PETERMAN: -- that could be causing changes, yes.

25 Q Because the Ricker and Larkin Model both predict a
26 decline based on excessive escapement levels,
27 correct?

28 DR. PETERMAN: Except for the Quesnel.

29 Q I'm sorry, the Ricker and Larkin Models would
30 predict the Quesnel, would they not? Isn't the --

31 DR. PETERMAN: Oh, yeah, I'm sorry, I -- okay --

32 Q Yeah.

33 DR. PETERMAN: I'm sorry, I was one step ahead of you
34 there, I think.

35 Q Yeah.

36 DR. PETERMAN: Okay, sorry. Could you just phrase that
37 again?

38 Q Let me go step by step --

39 DR. PETERMAN: I'm sorry.

40 Q -- because it is difficult. Well, let's start
41 with the Ricker Model. The Ricker Model
42 identifies or predicts a decline, but it only
43 looks one year ahead; is that correct?

44 DR. PETERMAN: Not quite, no. So I heard the word
45 "decline" and I was thinking about our long-term
46 trends --

47 Q Yes.

- 1 DR. PETERMAN: -- that's why I jumped towards it.
2 Q Yes.
3 DR. PETERMAN: No, they're --
4 Q They're short term now.
5 DR. PETERMAN: Okay, sure, short-term. So what the
6 Ricker Model tries to do is take into account a
7 given year's spawner abundance --
8 Q Yes.
9 DR. PETERMAN: -- and ask, does that influence the
10 returns per spawner? The Larkin Model says, not
11 only do you want to ask that question about this
12 -- the effect of this year's spawner abundance,
13 but also the spawner abundance of last year, the
14 year before and the year before that, so in other
15 words, a total of four years of spawner abundance
16 are taken into account in the Larkin Model, and
17 only one year's spawner abundance is taken into
18 account in the Ricker Model.
19 Q Yes. And both models predict a decline after the
20 top of the curve level of a spawner abundance; is
21 that correct?
22 DR. PETERMAN: Yes.
23 Q The Ricker Model would seem to assume, by not
24 looking at other years the way the Larkin Model
25 does, it would seem to assume a speedy recovery of
26 the -- whatever problems the ecosystem experiences
27 as a result of over-escapement, whereas the Larkin
28 Model stretches out the period of recovery; is
29 that one way of looking at it?
30 DR. PETERMAN: I'm sorry, I don't see it that way. The
31 recovery period is not something either model
32 speaks to. The models are fit to pass data.
33 Q Yes.
34 DR. PETERMAN: And so they're simply descriptions of
35 the past data.
36 Q Doesn't the Larkin Model -- well, don't both --
37 one of the explanations for both models is that
38 the food web that the sockeye juveniles depend on
39 is driven down by an overabundance of competition?
40 DR. PETERMAN: That's certainly one mechanism that
41 people have talked about, yes.
42 Q Yes. And the Larkin Model can accommodate a
43 finding that the food web, once driven down in one
44 year, takes more than one year to recover?
45 DR. PETERMAN: That's the implicit assumption --
46 Q Yes.
47 DR. PETERMAN: -- behind the Larkin Model. Well, I

1 should say it actually doesn't assume that, it
2 allows it to be reflected in your parameter
3 estimates of productivity, yes.
4 Q Yes.
5 DR. PETERMAN: Whereas the Ricker Model does not.
6 Q Okay. So when you come to identifying long-term
7 declines, you're already assuming a decline based
8 on the Ricker and Larkin Models, but you're
9 looking for something that may be exacerbating the
10 decline; is that the right way to put it?
11 DR. PETERMAN: Well, yes, I guess you could put it that
12 way, but it's not quite exacerbating in the sense
13 that where these trends on the right-hand side of
14 the screen right now are a good example where over
15 the period, say, 1987 to the mid-1990s, there's
16 some factor other than spawner abundances that is
17 causing those productivities to go down. So we've
18 already taken into account the effect of spawner
19 abundance --
20 Q Yes.
21 DR. PETERMAN: -- on recruits per spawner, and in all
22 of these case there's something else, apparently,
23 that's decreasing the survival rate --
24 Q Yes.
25 DR. PETERMAN: -- during the life history.
26 Q But my point was only this, that if you found data
27 indicating that recruits per spawner were going
28 down in a manner consistent with the Larkin Model,
29 you would have one of these graphs that show no
30 change?
31 DR. PETERMAN: Flat, that's right, like the Quesnel
32 stock, exactly.
33 Q Yes.
34 DR. PETERMAN: Yes, that's right.
35 Q But if it's declining faster than the Larkin Model
36 predicts, then you'd have a downward trend in your
37 graph?
38 DR. PETERMAN: That's correct.
39 Q All right. Well, yes, that sounds to me like
40 you're looking to identify something that's
41 exacerbating a downward trend.
42 DR. PETERMAN: Okay, sure.
43 Q So if we could turn, now, to Exhibit 73, starting
44 at page 42, I just want to look at the graph - I
45 think we can get rid of the other ones, Mr. Lunn -
46 MR. LUNN: Thank you.
47

1 MR. HARVEY:

2 Q - and now looking at the graph on page 42, the red
3 line, that shows the total Fraser River sockeye
4 productivity returns per spawner four-year
5 average, and it shows a high point in about 1960
6 and then a dramatic drop, and then goes along,
7 rising slowly, ups and downs until about 1993 or 4
8 or thereabouts, then we start quite a dramatic
9 decline; is that right?

10 DR. PETERMAN: Yes.

11 Q Now, it's been suggested that perhaps climate
12 change is accounting for that -- for the decline,
13 but climate change doesn't operate in a dramatic
14 fashion like that, does it?

15 DR. PETERMAN: Well, it could. There are many examples
16 in the oceanographic literature - and by the way,
17 ocean dynamics are frequently driven by climate
18 dynamics - where both the climate systems and the
19 ocean systems show these more or less consistent
20 patterns of maybe relatively small change and then
21 a rapid shift to a new system.

22 So, for example, I mentioned that 1976-77
23 regime shift.

24 Q Yes.

25 DR. PETERMAN: It's well documented in the
26 climatological literature, as well as in the
27 oceanographic literature, that the system -- both
28 systems, climate and ocean, are relatively similar
29 from year to year in their patterns - of course
30 there'd be some up and down - but that there was a
31 dramatic and rapid shift in the climate forcing of
32 the ocean dynamics in the mid-1970s. And so it
33 shifted to a new level of dynamics.

34 Q Yes.

35 DR. PETERMAN: So I wouldn't say that seeing this
36 pattern is explained by that, I'm just saying, in
37 response to the way you phrased the question, it
38 is possible --

39 Q All right.

40 DR. PETERMAN: -- that something like a climate system
41 could change rapidly and dramatically.

42 Q But if there was such a dramatic change such as a
43 regime shift in the early '70s, one would expect
44 to have evidence of it; we'd know about it?

45 DR. PETERMAN: Yes. Well, there was another shift in
46 1989, which seemed to go in the direction even
47 further than the '76/'77 regime did in terms of

1 slightly increasing productivity. It wasn't
2 nearly as large of a shift as in the mid-'70s, but
3 there was still evidence from both the climate
4 signal and the oceanographic processes. So late
5 '80s, early '90s is where you would expect to see
6 some change starting in the ecosystem that's
7 supporting the fish.

8 Q Is that a change that affects the abundance of
9 food for -- sockeye food in the ocean environment?

10 DR. PETERMAN: It could be. I haven't seen those data
11 because, unfortunately, one of the longest series
12 of data we had on food supply for salmon in the
13 ocean was Ocean Station Papa, which was terminated
14 in 1980 when they went to satellites for
15 forecasting the weather, rather than using the
16 weather ship.

17 Q I think you said that the regime shift in the
18 early '70s -- have I got the date right, early
19 '70s?

20 DR. PETERMAN: Mid-'70s, yes.

21 Q Mid-'70s, that that changed the abundance of food?

22 DR. PETERMAN: Yes, that's what we -- well, among other
23 things, yes, but that's definitely an important
24 signal that we saw.

25 Q Is there any evidence of that occurring in about
26 1993?

27 DR. PETERMAN: I can't say. I'm not aware of that
28 literature thoroughly enough to say.

29 Q No? All right.

30 DR. PETERMAN: Maybe Brigitte, do you remember anything
31 like that?

32 DR. DORNER: No, me neither.

33 Q So if one is looking for something dramatic that
34 happened in about 1993, when -- well, one would
35 have to look -- one would be looking for something
36 other than climate change so far as the evidence
37 we have indicates?

38 DR. PETERMAN: Well, I wouldn't dispel the climate
39 change, for the reasons I said. And I hope that
40 one of the other researchers who is going to
41 report to the Commission later will be able to
42 address that point directly.

43 Q All right. On page 44, there's a heading dealing
44 with residuals.

45 DR. PETERMAN: Mm-hmm.

46 Q I think this is probably opposite. It starts off
47 under that section:

1
2 In any salmon population, the average ratio
3 of recruits to spawners must eventually
4 decrease as the abundance of parental
5 spawners increases. This reduction is due to
6 a variety of factors affecting either
7 spawners (e.g., competition for spawning
8 sites) or the next generation (e.g.,
9 predation rates, disease, or increased
10 competition for food).

11
12 So you're not denying that basic feature of
13 population dynamics?

14 DR. PETERMAN: No, we're not, that's why we stated it
15 as a fact.

16 Q Yes. Towards the bottom of that page, the bottom
17 three lines, you say:

18
19 Stocks with the lowest correlation between
20 the residual indicator of productivity and
21 the standard non-residual indicator tended to
22 be those in which spawner abundance had
23 increased dramatically in the last 20 years
24 or so (e.g., Quesnel, Stellako, and Pitt).
25 For these stocks, density dependence may have
26 become important,

27
28 and that's discussed more below. Can you explain
29 what you mean by the lowest correlation?

30 DR. PETERMAN: Sure. Yes, I realize that this one was
31 a bit of a source of confusion from looking at
32 some transcripts from a previous hearing. And so
33 these terms were all defined up above, but just to
34 reiterate here, so what was done there in this
35 Pacific Salmon Workshop that we're looking at --
36 Pacific Salmon Commission Workshop, pardon me, is
37 that we had two different time series of
38 indicators of productivity. One, was just the
39 recruits per spawner and the natural log of it.
40 So just think about it as a transformed version of
41 recruits per spawner.

42 Q Yes.

43 DR. PETERMAN: Okay? And that's what we called the
44 standard non-residual indicator, okay? It's the
45 recruits per spawner, the very first measure that
46 I talked about today. The other measure, residual
47 indicator productivity, is the residual from the

1 best fit Ricker Model. So once you take into
2 account the effect of spawner abundance on
3 productivity, then it's what's leftover. Some
4 years it's up above what you'd expect based on the
5 spawner abundances, some years it's below. So
6 those residuals have a time series, and then the
7 raw numbers of recruits per spawner have a time
8 series. You take the correlation between the two
9 for each of these populations that we had for the
10 Fraser, the 19, and what we found was that the
11 correlation is lowest for those stocks for which
12 there's been a tremendous increase in spawner
13 abundance. And so the logic is a bit contorted
14 here, but what it says is that if you don't take
15 into account the spawner abundance you're going to
16 get a different measure of productivity than you
17 would if you do.

18 Q Yes.

19 DR. PETERMAN: So taking into account the productivity
20 -- the spawner abundance is what the residuals are
21 showing. So the fact that the series are less
22 correlated for a spawner -- for stocks where a
23 spawner abundance has gone way up makes logical
24 sense. You're taking that into account by fitting
25 the Ricker Model and then you're just looking at
26 the residuals that are leftover from environmental
27 factors.

28 Q so the Quesnel, Stellako and Pitt fit the Larkin
29 -- Ricker/Larkin Models better, is that what it
30 comes to, or is it the other way around?

31 DR. PETERMAN: No, this wasn't referring to the Ricker
32 and Larkin Model at all. In this section we're
33 only talking about the Ricker Model.

34 Q Oh, Ricker, okay.

35 DR. PETERMAN: Yes.

36 Q So these ones, the Quesnel, Stellako and Pitt, fit
37 the Ricker Model better?

38 DR. PETERMAN: Yes, that's right.

39 Q In other words, the decreases in productivity can
40 be explained by overabundance --

41 DR. PETERMAN: Right.

42 Q -- over-escapement, overabundance of spawners?

43 DR. PETERMAN: Well, it can be explained more by the
44 full range of abundances, some of which were high,
45 some of which were low.

46 Q Yes.

47 DR. PETERMAN: Yes.

1 Q All right. Page 81, if you could go to page 81,
2 Mr. Lunn.

3 MR. LUNN: Yes, I'm there.

4 MR. HARVEY: On yes, we have it there.

5 Q The bottom paragraph, Consistency with spatial and
6 temporal trends in the Fraser. About four lines
7 up from the bottom there's a sentence that:

8
9 It should be noted here that sockeye salmon
10 from the Columbia River returned in record
11 numbers in 2008 and 2009.

12
13 DR. PETERMAN: Mm-hmm.

14 Q I think that refers to something we discussed
15 earlier.

16 DR. PETERMAN: Mm-hmm.

17 Q You're prepared to accept that?

18 DR. PETERMAN: Yes. That's what we heard at the
19 workshop.

20 Q Yes. Then page 82, under the heading,
21 Plausibility and realism of proposed mechanism, I
22 want to go to the bottom eight or so lines of that
23 paragraph, beginning, "Moreover, some research
24 suggests,". Enlarge that, Mr. Lunn, about eight
25 lines at the bottom of that top paragraph, the
26 main paragraph. That's it:

27
28 Moreover, some research suggests possible
29 latent effects of poor freshwater experiences
30 on salmon (e.g., stress, disease, poor
31 feeding conditions) that do not manifest
32 themselves until after the fish enter the
33 ocean. Thus, although the plausibility of the
34 proposed freshwater mechanisms is inherently
35 high, no good evidence exists *at this time* to
36 suggest they are a major contributing factor
37 in the recent decline of Fraser River sockeye
38 salmon.

39
40 And that leads me to ask what more evidence you
41 need, because you do -- there is sufficient
42 evidence, is there not, of a decline in
43 productivity - it's been identified by Ricker and
44 Larkin, among others, of decline in productivity -
45 that results due -- is a consequence of the
46 freshwater experience?

47 DR. PETERMAN: Well, certainly there's been a large

1 amount of research done on density-dependent
2 processes in freshwater. All we were saying in
3 this section that you've just highlighted here is
4 that, yes, we know those mechanisms exist, but
5 there wasn't direct evidence for that on the
6 Fraser sockeye to explain the recent decline. Let
7 me give you one concrete example. The Chilko
8 sockeye abundance -- pardon me, the Chilko smolt
9 abundance was a record high in 2007, so those fish
10 were the ones that contributed to the main returns
11 in 2009. So it was an extremely high abundance of
12 juveniles in the lake, and yet they were average
13 body size. In most other years, in most other
14 lakes, when we've studied the relationship between
15 abundance of juveniles going to sea and their body
16 size, it tends to be that they're smaller when
17 there are a lot of them, for obvious reasons,
18 competition for food.

19 Q Yes.

20 DR. PETERMAN: But in this case, the Chilko smolts were
21 an extremely large number, 77 million, over twice
22 what the previous record was, record high, and yet
23 they were average body size. So if there had been
24 something going on in the lake that had caused
25 them to have poor nutrition, for example, you
26 would have expected them to see below average --
27 show below average body sizes, and they weren't.
28 And yet they came back in an extremely poor
29 survival rate. The smolt to adult survival rate,
30 as I recall, was the lowest on record for the
31 Chilko time series. In fact, it was one quarter
32 of the previous low, 1958.

33 Q So you're talking about the 2009 recruits?

34 DR. PETERMAN: Returns. Returns, yes.

35 Q The Quesnel return was meant to be the major run
36 in 2009, wasn't it?

37 DR. PETERMAN: I don't recall. It was one of three, I
38 think, yes.

39 Q The Quesnel fry and smolts, in that generation,
40 were definitely a smaller body size, were they
41 not?

42 DR. PETERMAN: I haven't seen data on that, I'm sorry,
43 I can't say.

44 Q If they were of a smaller body size, you would
45 expect them to be less able to deal with the
46 stressors that they encountered during
47 smoltification and early ocean phase of their

1 life?

2 DR. PETERMAN: Yes, generally salmon biologists have
3 shown in studies elsewhere, as well as in the
4 Fraser, that smaller body size tends to be
5 associated with poor survival rate from smolts to
6 adult, that's right. But it's highly variable,
7 the effect of size.

8 Q So you agree that it may hold true for the Quesnel
9 in the 2009 recruit generation, but not
10 necessarily the Chilko?

11 DR. PETERMAN: Well, like I said, I haven't seen the
12 data on Quesnel, I only --

13 Q All right.

14 DR. PETERMAN: -- just heard you describe it now, and
15 if you're correct, then, yes --

16 Q Yes.

17 DR. PETERMAN: -- if they were below average size
18 that's consistent with their poor return rate.

19 Q At page 86, you deal with, under 4.7.5 Conclusions
20 about the likelihood that the hypothesis is
21 correct, and here we're dealing with, I think, the
22 delayed density dependent mortality as an
23 important contributor.

24 DR. PETERMAN: Mm-hmm.

25 Q So dealing with that hypothesis, and the section
26 reads that:

27
28 Many biologists who worked on the management
29 of Fraser sockeye through the middle and
30 latter part of last century believed that
31 "cyclic dominance" meant that spawning
32 targets and exploitation rates should differ
33 across cycle lines.

34
35 So that was the old style, and that's coming back
36 into fashion now, is it not, as a result of all
37 the modern analysis?

38 DR. PETERMAN: Well, the modern analysis, do you mean
39 the FRSSI process?

40 Q Well, I mean the analysis that people like Carl
41 Walters and Brian Riddell and Jim Woodey have
42 done.

43 DR. PETERMAN: Well, I'm not exactly sure which
44 analyses you're talking about. They've done so
45 many. I'm sorry.

46 Q Well, I'll leave that.

47

1 That is, higher percentage harvest rates in
2 low-abundance years (off-cycle lines) would
3 keep them low to mitigate the delayed effects
4 on productivity of one cycle line on another.
5 The "experiment" of the last 20 years was to
6 see if the "off-cycles" could be built up to
7 the levels of the strong cycles. Whether the
8 experiment has been informative is not yet
9 clear; Carl Walters expressed a need to
10 confirm that his model-fitting results were
11 "real" and not an artefact of the statistical
12 procedures.

13
14 If the evidence is as conclusive as Walters
15 suggests, then the experiment has been a
16 success in that it has provided valuable
17 information. However, the attempt to increase
18 abundance of offcycle years may have been a
19 failure at producing more fish, or even the
20 same amount of fish for harvest than would
21 otherwise have been the case.

22
23 The Panel's opinions about the effect of
24 delayed density dependence on the long-term
25 decline in Fraser sockeye productivity ranged
26 from **likely** to **possible** to **unlikely** as a
27 contributing factor.

28
29 Could I ask where you stand on that continuum?

30 DR. PETERMAN: Where do I stand on that continuum?

31 Well, depends on the stock. I guess our analyses
32 that I reported on this morning would suggest that
33 delayed density dependence has played a role in
34 the Quesnel for the long-term decline in
35 productivity.

36 Q Yes.

37 DR. PETERMAN: But we have not seen evidence of that
38 for the other Fraser Sockeye stocks.

39 Q So, and I think - I haven't got it in front of me
40 - but I think one of the mandates of this
41 Commission is to find as a fact the reasons for
42 the 2009 failure - I'm paraphrasing. You would
43 support, as a finding of fact, that the high
44 escapement levels in the Quesnel led to the
45 substantial and serious declines of the Quesnel
46 2009 return; is that --

47 DR. PETERMAN: No, I'm afraid I can't speak

1 specifically to 2009.
2 Q All right. At any rate, you do say that delayed
3 density dependence is a likely cause contributing
4 to the long-term decline of the Quesnel run?
5 DR. PETERMAN: In the Brigitte Dorner and Peterman
6 report?
7 Q Well, I thought that's what you just said a minute
8 ago.
9 DR. PETERMAN: Yes.
10 Q Sorry. Now, Proposed Research, this paper says:
11
12 The Fraser River Sockeye Spawning
13 Initiative -
14
15 -- known as FRSSI, I think --
16
17 - group should attempt to replicate Carl
18 Walters' results for fitting the Larkin and
19 Ricker models.
20
21 So is that research suggesting that the FRSSI
22 Model, which sets the upper and lower benchmarks
23 should attempt to -- or take into account Carl
24 Walters' results and should use the Larkin and
25 Ricker Models?
26 DR. PETERMAN: Yes, as I recall, that's what we said at
27 that workshop as the panel.
28 Q Yes.
29 DR. PETERMAN: Mm-hmm.
30 Q Now, you discussed in your evidence this morning
31 the - now, I forgot whether it's a 2006 or 2004 -
32 paper that asks the question -- this is Exhibit
33 417, perhaps we could just have that brought up,
34 the question relating to over-escapement, Exhibit
35 417.
36 DR. PETERMAN: Oh yeah.
37 Q Does Over-Escapement Cause Salmon Stock Collapse?
38 Yes, 2004. I find the -- well, you've defined the
39 question raised in the title there, you would
40 define "collapse" as being less recruits -- less
41 than the one to one recruit per spawner? Is
42 that --
43 DR. PETERMAN: No.
44 Q No?
45 DR. PETERMAN: No, I don't think we ever used the word
46 "collapse" in our report.
47 Q All right.

1 DR. PETERMAN: Well, we might have, but not in the
2 context of our specific results. I guess all we
3 were trying to do was to come up with two
4 different measures --

5 Q Yes.

6 DR. PETERMAN: -- of the effect of spawner abundance in
7 something other than the brood year in
8 productivity. So we did that in two ways. One,
9 was to ask how frequently in the historical data
10 series have we seen the recruits come back at
11 fewer than their spawners that produced them.

12 Q Yes.

13 DR. PETERMAN: That's the first part that is directly
14 analogous to what Walters et al did in their
15 report.

16 Q Yes.

17 DR. PETERMAN: And then the second measure was to look
18 at this relative fit of the Ricker and Larkin
19 Models and the see what the time trends were that
20 they produced.

21 Q Yes.

22 DR. PETERMAN: So to get to the specific point about
23 how our results compare with this Walters et al
24 2004 paper, we found the same thing that they did,
25 even though they had a slightly different metric,
26 what they said was a measure of over-escapement.
27 We saw very few instances, seven percent of the
28 cases, in which we had fewer recruits returning
29 than spawners.

30 Q If the question were framed differently, instead
31 of "Does over-escapement cause salmon stock
32 collapse?" if it were, "Does over-escapement cause
33 salmon stock decline in productivity?" you'd
34 answer that as, "Yes," would you?

35 DR. PETERMAN: Decline in productivity, probably yes,
36 because almost by -- if you believe the Ricker and
37 Larker Models, any increase in spawner abundance
38 will cause the returns per spawner to go down.

39 Q Yes. Now, I want to -- because you said you still
40 adhere to the conclusions in this paper, I'd like
41 to refer you to evidence that was given here by a
42 panel with two of the -- including two of the
43 authors of this paper, Riddell and Walters, on
44 February 10th of this year, at page 14.

45 DR. PETERMAN: Okay.

46 Q So I'll start reading. This is at page 14,
47 towards the bottom. It's a question put to Dr.

1 Riddell -- well, it's a question put and Dr.
2 Walters answers it:
3

4 Q All right. Now, some of you have already
5 spoken to aspects of this next question that
6 I have, particularly as regards the evidence
7 on the 2004 paper. But my question of the
8 panel now is does the panel agree that there
9 is no historic evidence of catastrophic
10 recruitment failure coming about as a result
11 of extremely high escapement. I think that's
12 in large measure what the 2004 paper is
13 speaking to. But am I right in what I say,
14 that no historic evidence of catastrophic
15 recruitment failure from high escapement
16 levels?

17 DR. WALTERS: No. As we indicated yesterday,
18 there are data more recent than we had that
19 do hint at that possibility for a couple of
20 the stocks, Quesnel, most spectacularly, and
21 Chilko.

22 Q You say "hint at", but we haven't seen it,
23 have we?

24 MR. WALTERS: No, we see radical drop in
25 recruitment.

26 Q Okay.

27 MR. WALTERS: Following a period of high spawning
28 stock.

29 Q But have you seen it to the level of it being
30 catastrophic to the stock?

31 DR. WALTERS: Well, I'd say in the Quesnel case, a
32 drop from in the millions down to in the
33 hundred thousand or so is pretty
34 catastrophic, yes.

35 Q The 2004 paper, as I read it, says that
36 there's no evidence that over-escapement will
37 cause a stock collapse. Are you changing
38 your view on that?

39 DR. WALTERS: Yes. As we explained yesterday, for
40 two reasons: newer information --
41

42 THE COMMISSIONER: Sorry, can you scroll down, please?

43 MR. LUNN: Certainly.

44 THE COMMISSIONER: All the way down?

45 MR. HARVEY:

46 Q At line 15:
47

1 DR. WALTERS: Yes. As we explained yesterday, for
2 two reasons: newer information and the
3 failure in that 2008 paper -

4
5 -- I think he must mean the 2004 paper --

6
7 - to have looked at both the Gilhousen work,
8 showing strong cycles back historically, and
9 also the newer data.

10
11 So, and perhaps to complete it, I'll read what Dr.
12 Riddell has to say:

13
14 DR. RIDDELL: Well, I can finish. I think I said
15 yesterday that at that time I would still
16 support what we wrote. So we're kind of
17 mixing two elements here. If your question
18 was is the paper still sound, well, then I
19 agree with Carl, that we have seen an even
20 greater range in escapements now. We have
21 done more analyses, so I think people now
22 would have a different conclusion to be
23 drawn.

24 Would I personally say that we're still
25 seeing a high risk of catastrophic loss? I
26 don't think so. But Carl is more familiar
27 with the interline interactions than I am...

28
29 Do you disagree with any of that?

30 DR. PETERMAN: No, that's a rather broad question.
31 Well, no, I guess I don't disagree with it to the
32 extent that I'm, not aware, though, of what,
33 specifically, Carl Walters was talking about when
34 he said there are more recent data that he had to
35 suggest -- his mind changed. So I'm not familiar
36 exactly with which data he was talking about, but,
37 in general, I follow the arguments.

38 MR. HARVEY: Yes, all right. And finally, I think we
39 can get this in before we break, at page 62 of
40 this transcript -- I'm sorry, it was a passage by
41 Dr. Woodey that I wanted to -- I'm sorry, I think
42 we will have to do that tomorrow. Thank you, Dr.
43 Peterman.

44 DR. PETERMAN: Okay, thank you.

45 THE COMMISSIONER: I'm sorry, Ms. Baker, we're
46 adjourned until 10:00 tomorrow morning?

47 MS. BAKER: That's correct.

1 THE COMMISSIONER: What are the balance of the time
2 estimates, can you give me some sense?
3 MS. BAKER: I'm not sure how many more minutes Mr.
4 Harvey will be, but we have, after him, about two
5 and a half hours.
6 THE COMMISSIONER: Thank you very much.
7 THE REGISTRAR: The hearing is now adjourned until ten
8 o'clock tomorrow morning.
9

10 (PROCEEDINGS ADJOURNED TO THURSDAY, APRIL 21,
11 2011, AT 10:00 A.M.)
12

13 I HEREBY CERTIFY the foregoing to be a
14 true and accurate transcript of the
15 evidence recorded on a sound recording
16 apparatus, transcribed to the best of my
17 skill and ability, and in accordance
18 with applicable standards.
19
20
21

22 _____
23 Pat Neumann

24 I HEREBY CERTIFY the foregoing to be a
25 true and accurate transcript of the
26 evidence recorded on a sound recording
27 apparatus, transcribed to the best of my
28 skill and ability, and in accordance
29 with applicable standards.
30
31
32

33 _____
34 Karen Acaster

35 I HEREBY CERTIFY the foregoing to be a
36 true and accurate transcript of the
37 evidence recorded on a sound recording
38 apparatus, transcribed to the best of my
39 skill and ability, and in accordance
40 with applicable standards.
41
42
43

44 _____
45 Diane Rochfort
46
47

I HEREBY CERTIFY the foregoing to be a true and accurate transcript of the evidence recorded on a sound recording apparatus, transcribed to the best of my skill and ability, and in accordance with applicable standards.

Karen Hefferland

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47