

Commission of Inquiry into the Decline of
Sockeye Salmon in the Fraser River



Commission d'enquête sur le déclin des
populations de saumon rouge du fleuve Fraser

Public Hearings

Audience publique

Commissioner

L'Honorable juge /
The Honourable Justice
Bruce Cohen

Commissaire

Held at:

Room 801
Federal Courthouse
701 West Georgia Street
Vancouver, B.C.

Wednesday, May 4, 2011

Tenue à :

Salle 801
Cour fédérale
701, rue West Georgia
Vancouver (C.-B.)

le mercredi 4 mai 2011



Errata for the Transcript of Hearings on May 4, 2011

Page	Line	Error	Correction
11	27	35	350
44	37	specific sleeper sharks	Pacific sleeper sharks
72	42	angle consumption	annual consumption
89	14	racial predators to prey	ratio of predators to prey
96	10	river mounds	river mouths
99 - 103	top of page	Cross-exam by Mr. TIMBERG (CAN)	Cross-exam by Mr. Leadem (CONSERV)
101	28	Walters 186	Walters 1986

Suite 2800, PO Box 11530, 650 West Georgia Street, Vancouver, BC V6B 4N7
Tel: 604 658 3600 Toll-free Tel: 1 877 658 2808
Fax: 604 658 3644 Toll-free Fax: 1 877 658 2809
www.cohencommission.ca

APPEARANCES / COMPARUTIONS

Brian Wallace, Q.C. Wendy Baker, Q.C. Maia Tsurumi Lara Tessaro	Senior Commission Counsel Associate Commission Counsel Junior Commission Counsel Junior Commission Counsel
Mitchell Taylor, Q.C. Charles Fugère Tim Timberg Geneva Grande-McNeil	Government of Canada ("CAN")
Tara Callan	Province of British Columbia ("BCPROV")
No appearance	Pacific Salmon Commission ("PSC")
No appearance	B.C. Public Service Alliance of Canada Union of Environment Workers B.C. ("BCPSAC")
No appearance	Rio Tinto Alcan Inc. ("RTAI")
Shane Hopkins-Utter	B.C. Salmon Farmers Association ("BCSFA")
No appearance	Seafood Producers Association of B.C. ("SPABC")
No appearance	Aquaculture Coalition: Alexandra Morton; Raincoast Research Society; Pacific Coast Wild Salmon Society ("AQUA")
Tim Leadem	Conservation Coalition: Coastal Alliance for Aquaculture Reform Fraser Riverkeeper Society; Georgia Strait Alliance; Raincoast Conservation Foundation; Watershed Watch Salmon Society; Mr. Otto Langer; David Suzuki Foundation ("CONSERV")
No Appearance	Area D Salmon Gillnet Association; Area B Harvest Committee (Seine) ("GILLFSC")

APPEARANCES / COMPARUTIONS, cont'd.

No appearance	Southern Area E Gillnetters Assn. B.C. Fisheries Survival Coalition ("SGAHC")
Christopher Harvey, Q.C.	West Coast Trollers Area G Association; United Fishermen and Allied Workers' Union ("TWCTUFA")
Keith Lowes	B.C. Wildlife Federation; B.C. Federation of Drift Fishers ("WFFDF")
No appearance	Maa-nulth Treaty Society; Tsawwassen First Nation; Musqueam First Nation ("MTM")
No appearance	Western Central Coast Salish First Nations: Cowichan Tribes and Chemainus First Nation Hwlitsum First Nation and Penelakut Tribe Te'mexw Treaty Association ("WCCSFN")
Brenda Gaertner Crystal Reeves	First Nations Coalition: First Nations Fisheries Council; Aboriginal Caucus of the Fraser River; Aboriginal Fisheries Secretariat; Fraser Valley Aboriginal Fisheries Society; Northern Shuswap Tribal Council; Chehalis Indian Band; Secwepemc Fisheries Commission of the Shuswap Nation Tribal Council; Upper Fraser Fisheries Conservation Alliance; Other Douglas Treaty First Nations who applied together (the Snuneymuxw, Tsartlip and Tsawout); Adams Lake Indian Band; Carrier Sekani Tribal Council; Council of Haida Nation ("FNC")
No appearance	Métis Nation British Columbia ("MNBC")

APPEARANCES / COMPARUTIONS, cont'd.

No appearance	Sto:lo Tribal Council Cheam Indian Band ("STCCIB")
No appearance	Laich-kwil-tach Treaty Society Chief Harold Sewid, Aboriginal Aquaculture Association ("LJHAH")
No appearance	Musgamagw Tsawataineuk Tribal Council ("MTTC")
Lisa Fong	Heiltsuk Tribal Council ("HTC")

TABLE OF CONTENTS / TABLE DES MATIERES

	PAGE
PANEL NO. 30	
RANDALL PETERMAN (Recalled)	
Cross-exam by Mr. Hopkins-Utter	1
Cross-exam by Ms. Fong (cont'd)	8
Cross-exam by Mr. Taylor (cont'd)	10/17
CAROL CROSS (Recalled)	
Cross-exam by Mr. Hopkins-Utter	3
Cross-exam by Ms. Fong (cont'd)	4/5/8
Cross-exam by Mr. Taylor (cont'd)	10/11/13/16/17
GREG SAVARD (Recalled)	
Cross-exam by Ms. Fong (cont'd)	3/5/6/8
Questions by the Commissioner	9
Cross-exam by Mr. Taylor (cont'd)	12/16/17
PANEL NO. 31	
ANDREW TRITES (Affirmed)	
In chief on qualifications by Mr. Wallace	20
Ruling on qualifications	21
In chief by Mr. Wallace	23/25/30
VILLY CHRISTENSEN (Affirmed)	
In chief on qualifications by Mr. Wallace	21
Ruling on qualifications	22
In chief by Mr. Wallace	23/24/25/28/30

TABLE OF CONTENTS / TABLE DES MATIERES (cont'd)

	PAGE
PANEL NO. 32	
ANDREW TRITES (Previously Affirmed)	
In chief by Ms. Tessaro	35/36/38/40/42/49/51/53/55/62/63
Cross-exam by Mr. Timberg	81/83/85/86/95
Cross-exam by Mr. Leadem	99/101/102
JOHN FORD (Affirmed)	
In chief on qualifications by Ms. Tessaro	32
Ruling on qualifications	34
In chief by Ms. Tessaro	35/36/38/40/42/43/49/52/54/63/65/66
Cross-exam by Mr. Timberg	67/79/80/81/82/85/90
Cross-exam by Mr. Leadem	100/101
PETER OLESIUK (Affirmed)	
In chief on qualifications by Ms. Tessaro	34
Ruling on qualifications	34
In chief by Ms. Tessaro	35/36/37/39/41/42/54/56/61/62/ 64/65/67
Cross-exam by Mr. Timberg	71/79/80/87
Cross-exam by Mr. Leadem	101/102

EXHIBITS / PIECES

<u>No.</u>	<u>Description</u>	<u>Page</u>
779	Noakes et al, On the Decline of Pacific Salmon and Speculative Links to Salmon Farming in British Columbia, 2000	3
780	Letter from Jeff Jung to Mark Angelo re "The Role of Public Groups in Protecting and Restoring Freshwater Habitats in British Columbia, with a Special Emphasis on Urban Streams", February 25, 2002	19
781	<i>Curriculum Vitae</i> of Andrew Trites	22
782	<i>Curriculum Vitae</i> of Villy Christensen	23
783	Cohen Commission Technical Report 8 - Predation on Fraser River Sockeye Salmon - Feb 2011	31
784	<i>Curriculum Vitae</i> of John Ford	33
785	<i>Curriculum Vitae</i> of Peter Olesiuk	34
786	Ford et al, Chinook salmon predation by resident killer whales: seasonal and regional selectivity, stock identity of prey, and consumption rates, CSAS Research Document 2009/101	47
787	Ford et al, Shark Predation and Tooth Wear in a Population of Northeastern Pacific Killer Whales, January 6, 2011	49
788	Heise, Diet and Feeding Behaviour of Pacific White-Sided Dolphins (<i>Lagenorhynchus obliquidens</i>) as Revealed Through the Collection of Prey Fragments and Stomach Content Analyses, 1997	52
789	Olesiuk, Comments on Pinniped Information in Cohen Predator Report	55
790	Olesiuk et al, Prey requirements and salmon consumption by Steller Sea Lions (<i>Eumetopias jubatus</i>) in southern British Columbia and Washington State, CSAS Research Document, Draft	58
791	Funding Summary - SARA Cetacean Program	65

EXHIBITS / PIECES (cont'd)

<u>No.</u>	<u>Description</u>	<u>Page</u>
792	Five-year funding summary for pinniped research at DFO Pacific	65
793	Fraser River Sockeye Proposal - Pinniped Predation	66
573A	Appendix C of Pacific Salmon Commission workshop report June 2010, Peterman et al	68
794	Hypothesis: Predation by marine mammals is an important contributor to the Fraser Sockeye situation (presented at Pacific Salmon Commission workshop 2010)	69
795	DFO Synthesis workshop on the decline of the Fraser River Sockeye	70
796	Abbreviated version of Exhibit 794	71
797	Species at Risk Act - Management Plan Series - Management Plan for the Steller Sea Lion	74
798	DFO website snapshot, titled, The Strait of Georgia Ecosystem Research Initiative	90
798A	Strait of Georgia Ecosystem Initiative, an Overview	94
798B	Ecosystem Research Initiative (ERI) Pacific Region - "The Strait of Georgia in 2030", Research Plan	94
798C	Strait of Georgia Ecosystem Research Initiative - Key Outcomes	94
798D	Strait of Georgia Ecosystem Research Initiative, Modelling Component	94
798E	Strait of Georgia Ecosystem Research Initiative - Ongoing Research	94

1 Vancouver, B.C. /Vancouver
2 (C.-B.)
3 May 4, 2011/le 4 mai 2011
4

5 THE REGISTRAR: Order. The hearing is now resumed.
6

7 RANDALL PETERMAN, recalled.
8

9 CAROL CROSS, recalled.
10

11 GREG SAVARD, recalled.
12

13 MS. BAKER: Thank you, Mr. Commissioner. This morning
14 we have counsel for the B.C. Salmon Farmers wants
15 to mark an exhibit that they didn't do during
16 their questioning of the witnesses, and then we'll
17 follow with Ms. Fong for 15 minutes, followed by
18 Canada for 15 minutes, and then we should be ready
19 for Predation.

20 MR. HOPKINS-UTTER: Thank you, Ms. Baker. I'll try to
21 be quick, Mr. Commissioner. Hopkins-Utter, Shane,
22 for the B.C. Salmon Farmers Association. Mr.
23 Lunn, would you mind pulling -- oh, you actually
24 have it on screen already.
25

26 CROSS-EXAMINATION BY MR. HOPKINS-UTTER:
27

28 Q I'll just refer to the transcript that we have
29 from the May 2nd hearings. It's at page 60,
30 starting around line 22:
31

32 MR. BLAIR: Just a moment, please.
33

34 Did Mr. Blair put this document on the screen to
35 you on May 2nd? Sorry, I'm asking the panel. Do
36 you recognize this document from the hearings on
37 May 2nd?

38 DR. PETERMAN: I'm not sure whether he did. He may
39 have. We had a few dozen documents on the screen.

40 Q Fair enough. Mr. Lunn -- I apologize for that,
41 Mr. Commissioner. Mr. Lunn, the transcript,
42 please, page 60.

43 MR. LUNN: It's going to be just a moment if it's
44 Monday's transcript, I'm sorry. You can continue
45 or bear with me until it's up for you.

46 MR. HOPKINS-UTTER:
47

Q Okay. For the matter of expediency while he's

1 looking for that, I'll just read from the
2 transcript.
3

4 We're just going to dig up a document to put
5 up on the screen, but I'll quote it and I
6 will have it up there for you to comment on,
7 and it's a document done by Noakes and others
8 in 2002, and the comment that I'm going to
9 refer and ask for a comment is:

10
11 He reads the comment.
12

13 MS. BAKER: Could the article be put up for
14 the witness to look at.

15 MR. BLAIR: Yes, we're looking for it. It's
16 the B.C. Farmers' documents at Tab 2, at
17 page 11.

18 MS. BAKER: It's on the screen now.
19

20 He asked, when he referred to that quote:
21

22 Do you see that, all of you?
23

24 This is on page 61 of the transcript.
25

26 DR. PETERMAN: Mm-hmm.
27

28 I take that was a "yes" and:
29

30 MS. CROSS: Mm-hmm.
31

32 Do you recognize this document?

33 DR. PETERMAN: Are you asking now, or are you still
34 reading the transcript?

35 Q Yes, I'm sorry. Dr. Peterman and Ms. Cross, do
36 you recognize this document?

37 DR. PETERMAN: Well, as I said a minute ago, we looked
38 at lots of documents on Monday, so I don't
39 particularly remember looking at this since he
40 pulled out one paragraph in the middle of it.

41 Q I apologize, Mr. Commissioner. Page 13, Mr. Lunn,
42 of this document, if you can, near the top. It
43 would be the paragraph starting:
44

45 Straying hatchery fish and salmon egg
46 transfer from other rivers and other parts of
47 the Fraser, in the first half of the 20th

1 century...

2

3 MS. CROSS: Yes, I recognize this.

4 Q Thank you, Ms. Cross. And do you recognize this
5 document from Monday's hearings?

6 A Yes, I do.

7 MR. HOPKINS-UTTER: Okay. Thank you very much. Could
8 we please mark this as the next exhibit.

9 THE REGISTRAR: Exhibit number 779.

10

11 EXHIBIT 779: Noakes et al, On the Decline of
12 Pacific Salmon and Speculative Links to
13 Salmon Farming in British Columbia, 2000

14

15 MR. HOPKINS-UTTER: Thank you, Mr. Commissioner.

16 MS. FONG: Mr. Commissioner, panel, Lisa Fong for
17 Heiltsuk Tribal Council.

18

19 CROSS-EXAMINATION BY MS. FONG, continuing:

20

21 Q I am continuing my questions regarding the habitat
22 restoration for Ms. Cross and Mr. Savard. And on
23 the screen we have the document we had up when I
24 had last, when I was continuing on Monday, and
25 that's Heiltsuk's application for restoration
26 funding with respect to the stream cleaning
27 activities that DFO had engaged in, in 1985.

28 Now, on Monday the two of you advised me that
29 you weren't aware of this application or any
30 further applications made by Heiltsuk. So my
31 questions for you are going to be about this type
32 of application. And what I'm interested in
33 understanding is, is this the type of application
34 that the SEP program is aimed at funding so that
35 we can get more of an applied view of what that
36 program does and doesn't do. Okay.

37 But before I ask that, I just want to know,
38 were either of you aware of the stream cleaning
39 activities that Heiltsuk's talking about, DFO's
40 stream cleaning activities from 1985, removing the
41 large woody debris, which they say damaged the
42 fish habitat? Mr. Savard, perhaps you can answer
43 first.

44 MR. SAVARD: I'm not aware of the specific project that
45 they might be referring to. I have worked in the
46 Central Coast area, including the area that the
47 Heiltsuk live in, and I am aware that they have

1 been involved in some of these kinds of activities
2 in previous years. But the particular project
3 that's mentioned that you're asking about, I'm not
4 aware of the details of that one.

5 Q And just to clarify, when you say "the particular
6 project", you mean DFO's stream cleaning
7 activities in 1985?

8 MR. SAVARD: No, I'm sorry. I thought you were
9 referring to one from -- a specific project from
10 1985.

11 Q Oh, my understanding of the stream cleaning
12 activities is that they occurred between 1985 to
13 1990 and it was DFO's project of cleaning streams.
14 And what they did was they removed what's called
15 large woody debris from streams and that damaged
16 the habitat.

17 MR. SAVARD: Yeah, I'm sorry, I'm not familiar with the
18 specific project that you -- or the program that
19 you talk about.

20 Q Okay. And, Ms. Cross, are you aware of that
21 stream cleaning activity that was engaged in by
22 DFO?

23 MS. CROSS: No, I was not aware of that.

24 Q Okay, thank you. Now, we don't have time to go
25 through the details of this application. And, Mr.
26 Lunn, if you could move us forward in the
27 document, past the handwriting section of it, keep
28 going and keep going. Okay, stop right there.
29 And this was the page we were looking at on
30 Monday. And what I'm just going to do is identify
31 for you what -- summarize the sort of key aspects
32 and then just ask you, is this the type of
33 application that the SEP program is aimed at
34 funding.

35 So under the "Introduction" the salient part
36 really is that the request is being made because
37 DFO engaged in stream cleaning activities which
38 caused various damage to the fish habitat, and the
39 various impacts are set out in paragraph 3 under
40 that numbered "1. Introduction".

41 And then under numbered paragraph 2, there's
42 a description of what kind of work would be done
43 with the money, and it basically breaks down into
44 fieldwork to assess current fish habitat, and then
45 some removal of obstruction of materials that were
46 created by the stream cleaning. And then if we
47 flip over onto the next page, there's a list of

1 the streams that are sought to be cleaned. And
2 right under that there's the deliverable. So what
3 would occur at the end is that Heiltsuk would
4 provide a yearend report with maps, photographs,
5 description of surveyed streams and a prescription
6 for restoration.

7 And then below that under the numbered 3 and
8 the heading "Budget", if you jump all the way down
9 to "Subtotal and Amount of Funding Requested from
10 HRSEP", what they're asking for is \$104,100, and
11 right below that where it says "Administration and
12 Overhead @ 10% (In-kind contribution)", I'm told
13 that would be the in-kind contribution that
14 Heiltsuk or other organizations other than DFO
15 would contribute. So the request is for \$104,100.

16 So with that summary of information, and
17 recognizing that, you know, we're not going -- we
18 haven't gone through this application in detail,
19 I appreciate that, is this the kind of application
20 that the SEP Habitat Restoration Fund is intended
21 to fund?

22 MR. SAVARD: So just generally speaking, and again I
23 think I mentioned on Monday, I mean if the date on
24 this is 2001, I just note that it's kind of an old
25 application. But what I would say about what's
26 described in this work, and I'm not at all
27 familiar about the point that you raised here
28 about the large woody debris project that had
29 occurred earlier, but what I would say about this
30 application is that under our resource restoration
31 element of the Salmon Enhancement Program,
32 projects that talk about improving the habitat
33 capacity or the productivity of streams are the
34 kinds of projects that our Resource Restoration
35 Project would look at. And there's a process on
36 an annual basis where we receive applications and
37 then we prioritize them and make decisions on
38 which ones we would fund. But the nature of this
39 kind of work that's described here, I think this
40 application is dated, but the nature of this kind
41 of work that's described here is the kinds of
42 things that that program would look at.

43 MS. CROSS: Could I just add something?

44 Q Yes, please.

45 MS. CROSS: And I just want to clarify that this
46 particular application was made to HRSEP, which
47 was a short-term or a five-year funding program,

1 that existed from, I think, about 1999 to about
2 2004. And under the program there was funds
3 specifically set aside to address this kind of
4 activity, and that's what this application is for.
5 So typically now when we -- we don't have those
6 kinds of funds available. That was a program that
7 was designated to only run for those five years,
8 and we don't have those funds, the funds
9 available. But what this represents is what we
10 talked about on Monday in the way that these
11 restoration programs are done, together with
12 partners to leverage funding, so...

13 Q Do you know why this program doesn't exist any
14 more?

15 MS. CROSS: It was a program that was part of a
16 response to conservation concerns around coho. It
17 was part of a restructuring program, and it was
18 designated only to be a five-year program. It was
19 part of a larger package of initiatives.

20 Q I see. But you would be in agreement with Mr.
21 Savard, though, that conceptually the restoration
22 of manmade damaged fish habitat is what this SEP,
23 the Habitat Restoration, the \$3 million would be
24 aimed at addressing?

25 MS. CROSS: I would agree.

26 Q Yes, thank you. So coming back to the funding,
27 are there restoration programs which the SEP could
28 support but which are not being funded due only to
29 budgetary restraints?

30 MR. SAVARD: Yeah, and I would go back to some of the
31 conversation that we had on Monday, and when I
32 think that I was pointing out that on an annual
33 basis we do around 50 to 70 projects in a year,
34 and those projects, how many we actually do, will
35 vary depending on the size and scope of the
36 projects, but also the leverage funding sources.
37 So within the Resource Restoration Unit of the
38 Salmon Enhancement Program, so we talked about on
39 Monday, it's about a \$3 million annual budget. We
40 leveraged somewhere between \$3 million to \$5
41 million from partners on an annual basis. so, I
42 mean, this is the kind of thing that that project
43 or that program looks at funding.

44 Q Okay. So just so we understand the leverage
45 funding sources, are you saying that there are
46 projects that are rejected because there are no
47 partners to complement the funding that SEP would

1 provide?

2 MR. SAVARD: Well, I guess there's a few elements to
3 it, is that within the Department we have done
4 some work in terms of developing a tool that
5 prioritizes different projects of this nature. So
6 we've done some work, not through the entire
7 coast, but in many parts of the coast where we
8 identify systems that would be priority areas for
9 us to work on, depending on funding level.

10 Q (Indiscernible - overlapping speakers). Sorry.

11 MR. SAVARD: Another piece to this though is often the
12 projects that we pursue, proponents come to us and
13 ask to pursue the projects. So it's a combination
14 of us doing this work around prioritizing which
15 watersheds we would work on when we have funding
16 available, but also when proponents come to us and
17 say they'd like to do some work in a particular
18 system and they have funding that they could offer
19 to kind of do that work. So it's kind of two
20 types of projects.

21 Q Two types of projects. And so you reject projects
22 if there's no additional outside funding.

23 MR. SAVARD: I guess I wouldn't characterize it as
24 rejecting projects, particularly the ones that the
25 Department has done work on in terms of
26 prioritizing areas that we want to work in.
27 They're always on the books, and it's just a
28 matter of kind of whether or not funding is
29 available.

30 Q Or you don't fund them. Yeah, okay. Can you give
31 us a sense of the funding shortfall in, for
32 example we're in 2011, like 2010, like what are we
33 talking about? Like projects that stay on the
34 books but don't get done because there's not
35 enough money. Are we talking about something like
36 \$10,000 worth of projects, or a million dollars
37 worth of projects or \$5 million worth of projects?
38 Like, what kind of dollars are we talking about in
39 terms of funding shortfall?

40 MR. SAVARD: Yeah, I don't have a -- I couldn't provide
41 a good estimate of those. But I guess I'm not
42 sure that we look at it that way necessarily,
43 because there's a capacity issue. So even if we
44 had more funds, I mean, we couldn't do all
45 projects in a year --

46 Q Right.

47 MR. SAVARD: -- because some of them are pretty large.

- 1 And, you know, I think the way we approach this is
2 to kind of prioritize them and look for
3 opportunities to move forward on them. And in
4 terms of kind of the number of projects, or what
5 they might be worth in terms of kind of an overall
6 dollar value, I couldn't give you a number now.
7 And we're always adding to this on an annual
8 basis, as well.
- 9 Q Right. Do you know how many projects you have on
10 the books? Like, are we talking about one
11 project, or ten projects, or 50 projects that
12 don't get done? I'm trying to get a sense of the
13 size.
- 14 MR. SAVARD: Yeah, and I'm sorry, I can't give you an
15 indication of that (indiscernible - overlapping
16 speakers).
- 17 Q Okay. And I'm sorry, just because I'm running out
18 of time. Ms. Cross, do you have anything to say
19 about that?
- 20 MS. CROSS: No, I can't add anything to that.
- 21 Q Okay. Thank you. My next question is from a
22 publication perspective, I haven't seen disclosed
23 in the documents sort of documents that tell us,
24 because I was trying to assess this concept of the
25 funding shortfall, you know, who's applying, who's
26 applying for what, whether they're given funding,
27 and why they're given funding, why they're not
28 given funding on the restoration project so that,
29 you know, the public can sort of assess, well, how
30 much more money, or would it be good money to
31 spend, how much farther would we get with a
32 million dollars, for example. Is that information
33 published, to your knowledge?
- 34 MR. SAVARD: In terms of a formal technical document,
35 I'm not aware of anything that's published the way
36 you're speaking of it.
- 37 Q Thank you. And, Ms. Cross, are you aware of any
38 document as such?
- 39 MS. CROSS: No, I'm not.
- 40 Q Okay. My last question is going to be for Dr.
41 Peterman. Dr. Peterman, thank you for coming
42 back.
- 43 DR. PETERMAN: Mm-hmm.
- 44 Q I was looking at your recommendations, and in
45 reviewing your recommendations in your affidavit,
46 they appear to be aimed at the effects of large-
47 scale hatcheries on wild salmon. Now, coming back

1 to my conservation hatcheries here. Do you have
2 any recommendations in relation to conservation
3 hatcheries? Like, for example, would you
4 recommend further research into the costs and
5 benefit analysis of funding more conservation
6 hatcheries to improve the overall portfolio of
7 sockeye salmon stocks? What kind of
8 recommendations can you give us about conservation
9 hatcheries?

10 DR. PETERMAN: Well, I guess the general recommendation
11 would be that they be evaluated, just like any
12 other type of activity. And I'm not aware of how
13 DFO goes about this, but I suspect there's some
14 internal process, just like with these other
15 activities that Mr. Savard just described. That
16 there are some set priorities. They have
17 objectives, and they probably have some
18 evaluation. So that should be done whether it's
19 under the control of DFO or not. I would imagine
20 any group would want to know after some period,
21 has this effort been worth it.

22 MS. FONG: Okay, thank you. Those are my questions.

23 MS. BAKER: Do you want to mark that last document?

24 MR. TAYLOR: If it is, it should be for identification,
25 I think.

26 MS. FONG: It's fine. I'm not going to, because I'll
27 mark it during Aboriginal Fishing. Thank you.

28

29 QUESTIONS BY THE COMMISSIONER:

30

31 Q I just wanted to ask one question while you're
32 still on your feet, Ms. Fong. Mr. Savard, in your
33 answers to Ms. Fong in the last few minutes, it
34 wasn't clear to me whether you were telling her
35 that the information she was asking for doesn't
36 exist, or that you just simply don't have it with
37 you today.

38 MR. SAVARD: Yes, Mr. Commissioner. The prioritization
39 work that I talk about, we have something called a
40 Compass prioritization tool that will identify
41 projects. So there is information around some of
42 the projects that we look at. It's just I don't
43 have it with me here today.

44 Q And the kind of information she was seeking about
45 the funding aspects of those projects, is it again
46 just a question that you just simply didn't have
47 it with you today?

1 MR. SAVARD: I didn't have it with me today. One thing
2 that I would say, though, is that a lot of these
3 projects are conceptual in nature, and once a
4 project, we decide to go forward with a project,
5 we do a complete costing of that project. So I'm
6 not sure if cost information is available
7 associated with that prioritized list that I
8 talked about. We would do that as we move forward
9 with projects.

10 THE COMMISSIONER: Thank you.

11 MS. FONG: Thank you, Mr. Commissioner.

12 MR. TAYLOR: I have a question in redirect and then Ms.
13 Baker has allowed me some time to ask questions
14 regarding corrections to the PPR.
15

16 CROSS-EXAMINATION BY MR. TAYLOR, continuing:
17

18 Q I'll start with Ms. Cross and a question in
19 redirect. Dr. Peterman gave some evidence about
20 concerns if there were to be too many enhanced
21 fish put into the North Pacific, and that was near
22 the end of Monday. Do you recall that line of
23 questioning? I think it was Mr. Rosenbloom, but I
24 could -- or Ms. Gaertner, perhaps. Do you
25 remember that line of questioning?

26 MS. CROSS: Yes, I do.

27 Q Now, in the scheme of things, and thinking about
28 the North Pacific as a whole, in the scheme of
29 things are the numbers of enhanced fish that
30 Canada puts out into the North Pacific quite
31 small?

32 MS. CROSS: Yes.

33 Q And, Dr. Peterman, you agree with that?

34 DR. PETERMAN: Yes. As I said on Monday, I think the
35 amount in 2010 was about six percent of the total
36 releases in the North Pacific as a whole, across
37 all three species, pink, chum and sockeye.

38 Q Is it really countries like Japan and the United
39 States in the form of Alaska that you're concerned
40 about in terms of putting a large number of
41 enhanced fish out into the Pacific?

42 DR. PETERMAN: Yes, that's right.

43 Q Now, I have some questions on the PPR that are
44 aimed at seeing if you have evidence that might
45 correct or comment on some of the points there.
46 I'm going to go to question 30 first, or paragraph
47 30, rather. I think Mr. Lunn is going to bring it

- 1 up on the screen. You probably have a paper copy
2 of PPR11 there, as well. Question 30 is speaking
3 to the Salmonid Enhancement Program. My question
4 of Mr. Savard or Ms. Cross is whether -- and I'm
5 particularly focused on the main paragraph in
6 paragraph 30 there, before you get to "a", "b" and
7 "c". Does SEP apply to cutthroat and steelhead
8 trout?
- 9 MS. CROSS: Cutthroat and steelhead trout are part of
10 the program in the sense that we have a
11 partnership with British Columbia, but those
12 species are managed by the Province of British
13 Columbia.
- 14 Q All right, thank you. And then paragraph 32,
15 which speaks in part about the 350 public
16 involvement projects, I recall some evidence about
17 360, and it probably doesn't much matter, but do
18 you know the number of public involvement projects
19 which are called PIPs? Is 350 right, or is it a
20 different number?
- 21 MS. CROSS: That's the correct -- about the correct
22 number for PIPs, but it doesn't encompass --
23 that's not the correct number of PIPs that are
24 involved in fish culture activities.
- 25 Q Well, that's my question.
- 26 MS. CROSS: Yes.
- 27 Q Of the 35 then, how many are involved in fish
28 culture?
- 29 MS. CROSS: There is about 100 PIPs and about 25 CEDPs.
- 30 Q All right.
- 31 MS. CROSS: Or, sorry, there's 21 CEDPs.
- 32 Q Then if we go to paragraph 60, and particularly
33 the last sentence, is the contribution spoken of
34 there recent, or does it go back a long time? I'm
35 looking at the sentence beginning, "Enhancement
36 is, however," et cetera.
- 37 MS. CROSS: The contribution to Cultus is recent. The
38 contribution to Weaver and Gates sockeye is a
39 result of the channel, the channels that are on
40 those sites. and that would be from about five to
41 ten years after the construction of those
42 channels.
- 43 Q And that was approximately when?
- 44 MS. CROSS: In about by the late '60s.
- 45 Q So the contribution then would start in the late
46 '70s for those two.
- 47 MS. CROSS: In the early/mid-'70s, yes.

1 Q And when you say Cultus is recent, can you put an
2 approximate year on that?

3 MS. CROSS: The captive brood program or the
4 enhancement program began there in 2004, and so it
5 would be the mid-2000s.

6 Q At paragraph 79, there is a reference there to
7 funding. Does SEP also receive funding from a
8 departmental real property account? Maybe I'll
9 ask Mr. Savard.

10 MR. SAVARD: Yes, so this paragraph refers to funding
11 to upgrade and work on infrastructure. The
12 particular statement that is there that says \$8
13 million for the SEP program, this was funding that
14 was made available through the Government of
15 Canada's Economic Action Plan, and so that was
16 funding over two years, just the two previous
17 fiscal years, I believe, just finished up.

18 With respect to kind of longer-term funding,
19 the Salmon Enhancement Program accesses capital
20 funding through a national capital funding pot,
21 which is about \$40 million a year. So that is the
22 funding source in terms of doing work on our
23 capital infrastructures, a national funding pot
24 that we access, \$40 million a year for the
25 Department of Fisheries across the country.

26 Q Now, I appreciate that what comes to SEP in any
27 given year is going to vary, but can you say
28 anything about what level of funding has come to
29 SEP from the funds you've just described in recent
30 years per year?

31 MR. SAVARD: Yeah, typically what happens with this
32 funding is a project will be approved and then we
33 will do -- and it will be approved for funding
34 through this capital funding pot. But the
35 project, most of the major projects don't occur
36 over one year. They will be amortized out over
37 three to five years, because this work takes a lot
38 of time to do. So currently in recent years, a
39 few projects that are underway, is one is the --
40 we have a complete rebuild that's nearing
41 completion for the Quinsam Hatchery on Vancouver
42 Island, and that was valued at about \$14 million,
43 but that \$14 million would be spent over about
44 four or five years.

45 Q And that's coming from the national fund you
46 described.

47 MR. SAVARD: It's coming from that national fund.

1 Q All right.

2 MR. SAVARD: Another -- a few other projects, we've
3 talked about the Economic Action Plan ones. We
4 have something called a concrete package, where
5 we've got capital funding over about, I believe
6 it's three years, where many of the hatchery
7 facilities in the region have a lot of concrete in
8 their construction. So that particular fund,
9 we've accessed money in that fund to upgrade or
10 work on improving or upgrading the quality of that
11 concrete work in a number of facilities across the
12 hatcheries in the Pacific region.

13 And likewise, we are also getting funding
14 over from that fund for improvements to water
15 distribution systems for a number of sites through
16 the region.

17 Q And can you put a number, just a number, if you
18 can, approximately per year that is going into
19 what I'm going to describe as the "this and thats"
20 that you've just described, important stuff, but
21 bread and butter kinds of things, if you like.
22 Just is it \$1 million, \$2 million, what level of
23 dollars are going into that from this national
24 fund?

25 MR. SAVARD: Based on the projects that I've described,
26 the Economic Action Plan, the Quinsam --

27 Q Well, we've got the number for the --

28 MR. SAVARD: Yes.

29 Q -- Economic Action Plan. It's just the national
30 fund.

31 MR. SAVARD: But on average I would suggest it's in the
32 \$2 million to \$5 million range, and I'd have to
33 look at the numbers a bit closer to be more
34 accurate than that.

35 Q That's good enough. Thank you. If you turn to
36 paragraph 103, it says:

37
38 Lake fertilisation is expensive, costing up
39 to hundreds of thousands of dollars per year
40 per lake.

41
42 Am I right that there is lake enrichment going on
43 in recent years in Great Central Lake?

44 MS. CROSS: Yes, that's correct.

45 Q And is that the original lake enrichment lake?

46 MS. CROSS: It is one of them, yes.

47 Q And is that a highly productive one in terms of

1 bang for your buck in terms of lake enrichment?

2 MS. CROSS: Yes. Yes.

3 Q Do you know the approximate number that's going
4 into that per year?

5 MS. CROSS: The most recent year I think it was
6 \$120,000.

7 Q If you go to paragraph 116, there is a sentence at
8 the end beginning "The WFSP", I understand WFSP to
9 be Watershed-based Fish Sustainability Plan, which
10 is something that's started to be referred to on
11 the previous page. Is there a correction to the
12 last sentence in paragraph 116, the sentence
13 beginning:

14
15 The WFSP was never a DFO program and thus did
16 not provide...funding...

17
18 MS. CROSS: Yes, there is. The WFSP was a partnership
19 program that included DFO and British Columbia,
20 and we do provide, we have provided some funding
21 for communities developing such strategies.

22 Q And do you know what level of funding on an annual
23 basis, approximately?

24 MS. CROSS: I don't.

25 Q Okay, that's fine. If you turn to paragraph 167,
26 it's referring to the Wild Salmon Policy and who
27 has what role. Does SEP have a role in Wild
28 Salmon Policy 5.3? You'll see in that paragraph
29 it says that OHEB, which is the Habitat Management
30 Program, overall has a role, but not SEP it says
31 at the end. Does SEP have a role?

32 MS. CROSS: I'd actually have to see the action step in
33 front of me, but I believe it's referring to
34 habitat restoration, is that what you're referring
35 to?

36 Q We can go to that quickly, I think. It's Exhibit
37 8, as I recall, WSP. I'm not getting a positive
38 sign from Mr. Lunn that we can go to it quickly.

39 MR. LUNN: Oh, I'm sorry.

40 MR. TAYLOR: The WSP, I think it's Exhibit 8.

41 MR. LUNN: I can get that.

42 MR. TAYLOR: So 5.3, which will be on page, I don't
43 know.

44 MR. LEADEM: Page 13.

45 MR. TAYLOR: I should know that Mr. Leadem would know
46 everything about WSP.

47 MR. LEADEM: Maybe not.

1 MR. TAYLOR: I'm going to change my mind about Mr.
2 Leadem's knowledge.

3 MR. LUNN: Page 33 on the hardcopy.

4 MR. TAYLOR:

5 Q Does that assist, Ms. Cross?

6 MS. CROSS: Yes, thank you. So habitat management
7 activities are within the Habitat Management
8 Program, but SEP contributes to a component of
9 that program through our habitat restoration
10 activities.

11 Q And what is it, briefly in general terms, that you
12 contribute?

13 MS. CROSS: It's the resource restoration component of
14 the program that we've just been discussing and
15 it's funded for \$3 million and is done in
16 partnership with others.

17 Q All right. Now, at paragraph 173 in the PPR,
18 there is a sentence at the end that is now up on
19 the screen in the bottom half of the screen that's
20 beginning:

21
22 In any event, DFO acknowledges that fish
23 culture is not sustainable over the long-run.
24

25 There's a reference to a document. Mr. Rosenbloom
26 asked you about this last time, Ms. Cross, do you
27 remember that?

28 MS. CROSS: Yes, I do.

29 Q And you had asked to go and see the document. And
30 there's an exchange between yourself and Mr.
31 Rosenbloom that I can take you to if you want me
32 to. But my question of you is whether you have a
33 comment on that, and I'm thinking, or I have to
34 mind that you were speaking in evidence when Mr.
35 Rosenbloom was asking you about context, and my
36 question is in context what do you say about the
37 statement there about the "long-run" comment as
38 sustainable or not.

39 MS. CROSS: Yes. So this particular comment came out
40 of a document from the Resource Conservation
41 Council, Pacific Resource Conservation Council,
42 that was referring to the role of public groups in
43 habitat restoration. And I believe the context of
44 the comment was that public groups weren't
45 necessarily able to keep up with the habitat
46 restoration that they perceived as being required,
47 and I believe the point that this particular

1 statement was trying to make is that we certainly
2 wouldn't want to try to solve all of those
3 problems with fish culture, and from that
4 perspective it's not sustainable over the long
5 run. This particular statement, because it
6 followed on this discussion about Cultus and Upper
7 Adams, is not applicable to that, to what it's
8 following there.

9 Q All right. A quick question, I think, for a quick
10 answer, and I don't need to take you to it, but at
11 paragraph 138-139 there's reference to the Pacific
12 Salmon Foundation. You're familiar with that
13 organization, both Mr. Savard and Ms. Cross, I
14 believe?

15 MS. CROSS: Yes.

16 MR. SAVARD: Yes.

17 Q Is that arm's length from government?

18 MS. CROSS: Yes.

19 MR. SAVARD: Yes.

20 Q And with regard to conservation stamps, you're
21 familiar with that concept?

22 MS. CROSS: Yes.

23 Q Is it a portion of conservation stamp revenue that
24 goes to the Pacific Salmon Foundation as opposed
25 to the whole?

26 MS. CROSS: That's correct.

27 Q In paragraph 161, which we can bring up on the
28 screen, there's a reference in the second sentence
29 to an experiment developed in the 1990s. You'll
30 see it there, four lines down. Were UBC
31 scientists involved in that, as well?

32 MS. CROSS: Yes, they were.

33 Q And do you know why, it says it wasn't initiated.
34 Do you know why?

35 MS. CROSS: I wasn't part of the decision-making on
36 that particular experiment.

37 Q Okay. Do you know anything about that, Mr.
38 Savard?

39 MR. SAVARD: No, I do not.

40 Q All right. I'm now at paragraph 54. When Ms.
41 Baker asked you some questions about corrections
42 to the PPR, you added in that it's important to
43 have reference to Hell's Gate, which of course is
44 an extremely important facility in the Fraser
45 River that was built resulting from the slide that
46 happened way back in the first part of the 20th
47 century. I think we have evidence on this. But,

1 Mr. Savard, Ms. Cross, or Dr. Peterman, do you
2 recall when Hell's Gate was built?

3 MR. SAVARD: I don't have an exact --

4 Q Does anyone recall the approximate time?

5 DR. PETERMAN: Was it in the 1930s?

6 Q You tell me.

7 DR. PETERMAN: That's a question.

8 Q A long time ago, wasn't it.

9 DR. PETERMAN: That's question.

10 Q And who manages that now, Mr. Savard, Ms. Cross?

11 MR. SAVARD: I guess in terms of kind of upgrade,
12 updating and maintenance of it, it's our Real
13 Property Section that manages the --

14 Q It's DFO though, is it?

15 MR. SAVARD: That's correct, yes.

16 Q Okay. And finally, paragraph 27, there's a
17 reference there to the Chehalis First Nation. And
18 specifically that they have an "ESSR Licence",
19 which is Excess Salmon to Spawning Requirements
20 Licence. My question is, is that licence
21 renewable annually?

22 MS. CROSS: Yes, it is.

23 MR. TAYLOR: All right, thank you. Those are my
24 questions on this.

25 MS. BAKER: Thank you, Mr. Commissioner.

26 THE COMMISSIONER: I wonder, Mr. Lunn, if you could
27 just put back up on the screen paragraph 167. I'm
28 sorry, 173, my apologies. And if you just scroll
29 down to the bottom of page -- the next page, if
30 you just scroll down to footnote 324, I think it
31 is. I just wanted to go back.

32 Mr. Taylor, I think, just going back up to
33 paragraph 173 and the statement in the last
34 sentence, or second-to-last sentence:

35

36 In any event, DFO acknowledges that fish
37 culture is not sustainable over the long-run.

38

39 It gives the footnote there, 324. I believe that
40 document is in evidence, but just that CAN number
41 is just confusing me. So I wonder if you could
42 just clarify for me, is 324, the Ringtail document
43 referred to there, is that already in evidence?

44 MR. TAYLOR: That question I can't answer. But what it
45 is, is a - is that the letter? - so that document
46 is a letter from a person named Jeff Jung of
47 Fisheries to someone named Mark Angelo, who is

1 part of a private organization, and he and another
2 person named Marvin Rosenau in 2001 wrote "The
3 Role of Public Groups in Protecting and Restoring
4 Freshwater Habitats in British Columbia, with a
5 Special Emphasis on Urban Streams ". That is a
6 long report. Jeff Jung then in that Ringtail
7 document wrote a letter that he was providing
8 input to Dr. Rosenau and Mark Angelo on their
9 report. Whether it's an exhibit, that Ringtail
10 document, I can't say.
11 THE COMMISSIONER: All right.
12 MR. TAYLOR: Under the Rules, of course, you're
13 entitled to look at it.
14 THE COMMISSIONER: Right.
15 MR. TAYLOR: But if your practical question is where is
16 it and how can you see it, I'm sure between myself
17 and the Commission counsel we can get a copy
18 available to you.
19 THE COMMISSIONER: I'm sorry, my apologies. I thought
20 that was already in evidence, but from what you're
21 telling me is it's not.
22 MS. BAKER: I don't believe it is.
23 MR. TAYLOR: Well, I don't know.
24 MS. BAKER: I don't believe it is.
25 THE COMMISSIONER: Apparently it's not. The other,
26 just one other quick point, Mr. Taylor, I wanted
27 to raise with the panel, is that to the extent
28 that they've been giving you answers estimating
29 figures with respect to DFO's contribution to
30 these programs in terms of dollar figures, and
31 they've been giving you their best estimate, I
32 wouldn't be offended if they wanted to go back and
33 harden up those numbers and give them to you, and
34 then you supply them to Commission counsel. I
35 don't want to have them in the position where they
36 weren't prepared to give a number today, and
37 they're just trying their best to give you a
38 number. But if they want to go back and see if
39 there's more information that might harden up
40 these numbers, that would be fine with me.
41 MR. TAYLOR: Well, we'd be pleased to do that, Mr.
42 Commissioner, and we'll carry that out and put it
43 back through Ms. Baker.
44 THE COMMISSIONER: Thank you very much.
45 MS. BAKER: Mr. Lunn has the letter that was referred
46 to in the footnote on the screen. So if we could
47 have that marked as an exhibit, and then it can be

1 referred to.

2 THE COMMISSIONER: Well, I wasn't really wanting to
3 step on counsels' toes in terms of marking things
4 that shouldn't be marked. I just wanted to try
5 to --

6 MR. TAYLOR: Well, I'm happy to have that marked, if
7 we've now found it. I'm looking at the bottom of
8 it, or I was looking at the bottom of it. I can
9 see from the number that it certainly got itself
10 started into Ringtail. I don't see a CAN number,
11 but Mr. Lunn has found it. Oh, there it is, so,
12 happy to have it marked.

13 THE COMMISSIONER: All right.

14 THE REGISTRAR: Exhibit number 780.

15
16 EXHIBIT 780: Letter from Jeff Jung to Mark
17 Angelo re "The Role of Public Groups in
18 Protecting and Restoring Freshwater Habitats
19 in British Columbia, with a Special Emphasis
20 on Urban Streams", February 25, 2002
21

22 MR. TAYLOR: Thank you.

23 THE COMMISSIONER: Thank you.

24 MS. BAKER: It does refer, there is an attachment to
25 that document that is not on the screen, so we'll
26 leave that for now though. The quote I don't
27 think is in this particular page. But in any
28 event, it's been marked and we'll leave it.

29 That concludes the Enhancement and
30 Restoration Panel.

31 THE COMMISSIONER: Well, thank you, Ms. Baker and Ms.
32 Tsurumi, for your conduct of the session and to
33 Ms. Cross, Mr. Savard, and once again, Dr.
34 Peterman, for all three of you making yourselves
35 available again this morning, I'm grateful for
36 that. And thank you very much for your
37 willingness to answer these questions. Thank you.
38 We'll stand down then and regroup.
39

40 (PROCEEDINGS ADJOURNED FOR BRIEF RECESS)

41 (PROCEEDINGS RECONVENED)

42
43 THE REGISTRAR: Order. The hearing is now resumed.

44 MR. WALLACE: Good morning, Commissioner Cohen. Brian
45 Wallace, Commission counsel. And Lara Tessaro is
46 with me. We're about to embark on the topic of
47 predation and no hockey jokes are allowed. The

1 way we're going to organize the next three days,
2 Mr. Commissioner, is, first of all, to introduce
3 you to the authors of our report number 8 on
4 predation, Dr. Trites and Dr. Christensen, who are
5 on the stand at the moment. And once we ask to
6 accept their qualifications and put in some
7 general information on the report, I will conclude
8 their initial examination but not invite
9 participants to examine on the report generally at
10 that point simply because the lines between the
11 general format and what it seeks to achieve and
12 getting into the specifics of predators is
13 impossible to find.

14 Dr. Trites and Dr. Christensen will both be
15 back on the stand with panels focused on the
16 particular species of potential predators: Dr.
17 Trites on a panel next on marine mammals along
18 with Mr. Olesiuk and Dr. Ford, then following in
19 that panel all participants will have their
20 opportunity to cross-examine. Then tomorrow
21 morning, I anticipate recalling Dr. Christensen
22 along with Mr. Macfarlane and Mr. Hume on a panel
23 that's mostly based on fish predators but also
24 dealing with avian predators as well. And
25 finally, on Friday, we have half a day set aside
26 for Mr. Gillespie to speak on squid. So that's
27 how I see the next two to three days unfolding.
28 Mr. Giles?

29 THE REGISTRAR: Good morning.

30
31 ANDREW TRITES, affirmed.

32
33 VILLY CHRISTENSEN, affirmed.

34
35 THE REGISTRAR: State your name, please.

36 DR. TRITES: Dr. Andrew Trites.

37 THE REGISTRAR: Thank you.

38 DR. CHRISTENSEN: Villy Christensen.

39 THE REGISTRAR: Thank you. Counsel?

40 MR. WALLACE: Thank you, Mr. Giles.

41
42 EXAMINATION IN CHIEF ON QUALIFICATIONS BY MR. WALLACE:

43
44 Q Dr. Trites, I'll ask Mr. Lunn to put your
45 curriculum vitae on the screen. And can you
46 confirm that that is, in fact, your c.v.?

47 DR. TRITES: Yes, that is my c.v.

21

PANEL NO. 31

In chief on qualifications by Mr. Wallace

Ruling on qualifications

1 Q Thank you. Just briefly, Professor Trites, you're
2 a full professor at the UBC Fisheries Centre and
3 have been since 2006?

4 DR. TRITES: Yes.

5 Q And your professional relationship with that
6 Centre goes back to 1992?

7 DR. TRITES: That's correct.

8 Q Okay. You graduated with a Ph.D. in zoology at
9 UBC in 1990?

10 DR. TRITES: Yes.

11 Q And you did an NSERC post-doctoral fellowship from
12 1990 to 1992. What was that area of study?

13 DR. TRITES: It was focused on predation by seals on
14 salmon.

15 Q Thank you. And so marine mammals have been of
16 special interest to you and that goes back, I
17 think, to 1980, correct?

18 DR. TRITES: That's correct. I've been studying marine
19 mammals since 1980.

20 Q Among your professional affiliations and research
21 affiliations, you've been involved as a member of
22 COSEWIC; is that correct?

23 DR. TRITES: That's correct. I was a voting member on
24 COSEWIC, as well as co-chair of the Marine Mammal
25 Subcommittee and I continue to serve on that
26 committee now as a member.

27 Q Thank you. And you've also had professional
28 relationships with UBC, the Vancouver Aquarium and
29 DFO, correct?

30 DR. TRITES: That's correct.

31 Q I understand you've published close to 200
32 scientific papers?

33 DR. TRITES: Yes, that's right.

34 Q And that these papers have been cited in total
35 almost 4,000 times?

36 DR. TRITES: That's correct.

37 MR. WALLACE: Thank you. Mr. Commissioner, I'd ask
38 that Dr. Trites be qualified in marine mammals and
39 in their conservation status and recovery. I see
40 nobody seeking to speak to that issue.

41 THE COMMISSIONER: Thank you.

42 MR. WALLACE:

43 Q I will move then to Dr. Christensen. Dr.
44 Christensen, you are also a full professor at UBC?

45 DR. CHRISTENSEN: That's correct.

46 Q And the associate director of the UBC Fisheries
47 Centre?

May 4, 2011

1 DR. CHRISTENSEN: Yes.

2 Q You became a full professor last year and you'd
3 been an associate professor since 2004.

4 DR. CHRISTENSEN: That's correct.

5 Q Your Ph.D. in ecosystem modelling comes from the
6 University of Copenhagen in 1992; is that correct?

7 DR. CHRISTENSEN: That's correct.

8 Q And you've worked internationally on food web
9 modelling?

10 DR. CHRISTENSEN: For more than 20 years, that's
11 correct.

12 Q Can you just very briefly tell us what food web
13 modelling is?

14 DR. CHRISTENSEN: It's creating ecosystem models of
15 which the feeding interactions are very important.
16 And in the food web, we describe basically who is
17 who. And how much I should add, by the way.

18 Q Thank you.

19 DR. CHRISTENSEN: How much.

20 Q Thank you. You have had more than 250
21 publications in scientific journals?

22 DR. CHRISTENSEN: That's correct.

23 Q And your publications have been cited more than
24 5,000 times, correct?

25 DR. CHRISTENSEN: That's correct.

26 Q Do you have any experience in salmon research?

27 DR. CHRISTENSEN: It's not my specialty; food web
28 interactions is. But I have worked a bit on
29 predation on coho salmon smolt and spent about 120
30 days in the field here in B.C. studying that
31 topic. And working in connection with the
32 supervision of a student working on predation or
33 mortality courses for coho salmon smolt.

34 MR. WALLACE: Thank you. Mr. Commissioner, I would ask
35 that Dr. Christensen be qualified as an expert in
36 food web modelling and predator-prey
37 relationships. Again, I see nobody leaping to
38 their feet to challenge those credentials and I'd
39 ask if we can move on.

40 THE COMMISSIONER: Yes, thank you.

41 MR. WALLACE: Could we mark Dr. Trites' c.v., please,
42 as the next exhibit?

43 THE REGISTRAR: Exhibit 781.

44

45 EXHIBIT 781: *Curriculum Vitae* of Andrew
46 Trites

47

23
PANEL NO. 31
In chief by Mr. Wallace

1 MR. WALLACE: And if we could put Dr. Christensen's on
2 the screen?

3 Q Dr. Christensen, can you identify that as your
4 c.v.?

5 DR. CHRISTENSEN: Yes.

6 MR. WALLACE: And could that then be marked as the next
7 exhibit, Mr. Giles?

8 THE REGISTRAR: Exhibit Number 782.

9 MR. WALLACE: Thank you.

10

11 EXHIBIT 782: *Curriculum Vitae* of Villy
12 Christensen

13

14 MR. WALLACE: Next, Mr. Lunn, if you could put Project
15 8 on the screen?

16

17 EXAMINATION IN CHIEF BY MR. WALLACE:

18

19 Q If I may ask you, gentlemen, if you are the
20 authors of the Project 8 report prepared for this
21 Commission? It's entitled Predation on Fraser
22 River Sockeye Salmon.

23 DR. CHRISTENSEN: Yes.

24 DR. TRITES: And yes.

25 Q Thank you. Dr. Christensen, if I could just ask
26 you to go to page 2 of that and the executive
27 summary. There's a point of reference. In the
28 first full paragraph, you describe this as a
29 review of the scientific literature and say it
30 reveals a wide range of species holding the
31 remains of sockeye salmon in their stomachs. Is
32 it fair then to describe this review of
33 qualitative rather than quantitative?

34 DR. CHRISTENSEN: Yes, that's correct.

35 Q And can you just help us by telling us the
36 limitations of that in determining your level of
37 confidence in your results?

38 DR. CHRISTENSEN: We think that it is well-qualified.
39 We brought within the limits that are posed by
40 lack of knowledge and that means there's no very
41 much data, quantitative data on the potential
42 predators of sockeye. So we've had to work within
43 that limitation. Still it's a species that's been
44 studied for a hundred years so there is a
45 considerable amount of information.

46 Q In your report, you looked at, I gather, a large
47 number of predators and you initially came down to

1 a list of 26 and then narrowed it further. Can
2 you just describe to the Commissioner, please, how
3 you went about identifying the species that were
4 potential predators and how you then went about
5 narrowing it down to those you thought might have
6 a potential impact that could contribute to the
7 decline.

8 DR. CHRISTENSEN: We did a very systematic survey of
9 what's available. We started off with freshwater
10 status, moved to the estuarine, to the straits and
11 out to the open ocean. And for each area, we
12 looked at the literature, what information we
13 could find about potential predators and that made
14 a long list. And based on additional information
15 about diets and abundance, we then made a judgment
16 on who might be the potential predators. So it's
17 not a conclusive list that we have produced but it
18 is a fairly comprehensive list and we had a set of
19 criteria that we used for this.

20 Q And are those the criteria set out at the bottom
21 of page 13?

22 DR. CHRISTENSEN: Yes, those are the basic criteria we
23 used. And we used them also based on, I would
24 say, 20 years' experience when it comes to
25 evaluating what's important and what's not
26 important. But yes, these are the criteria.

27 Q Thank you. In the fourth bullet there, I think
28 perhaps there's an error that ought to be
29 corrected where you identify:

30
31 The abundance of the predator must have been
32 decreasing in recent decades...

33
34 Am I correct that that should say "increasing"?

35 DR. CHRISTENSEN: You are correct, yeah. That is an
36 error.

37 Q Dr. Christensen, in your -- if I may just
38 summarize and in looking at the way you deal with
39 various predators you identify, there seems to be
40 a fair amount of weight put on the fact that
41 there's no evidence of an increase in the
42 abundance of the predator as being one of the
43 facts. Isn't it indeed it's one of the things
44 mentioned in the bullet? And if I may summarize?
45 If you're trying to identify a decline, you want
46 to see if it's turned into something that's
47 increasing the risk, which would be an increase of

1 the abundance of the predator, correct?

2 DR. CHRISTENSEN: That's correct, yeah.

3 Q Is it not also possible, though, that other things
4 besides increasing abundance could increase the
5 risk from a particular predator of sockeye salmon?

6 DR. CHRISTENSEN: We might have a shift in diets. We
7 know that animals can change preferences,
8 especially at the individual level, that certain
9 animals might specialize on certain prey and that
10 can shift the whole diet compositions. It doesn't
11 happen that often at the population level, though,
12 unless it really is a learned behaviour such as
13 you might see from marine mammals. For fish,
14 that's rarely the case. But we cannot rule it
15 out. We would first look for change in abundance.
16 That's where the best information also is likely
17 to be available. We have less information about
18 diets and how they change. But you are right,
19 that can be a factor, too.

20 Q Dr. Trites?

21 DR. TRITES: Yeah, and one other thing perhaps to add
22 to that is, you can also have a shift in
23 distribution so you could have an overlap or
24 increased overlap in where the prey specie is and
25 predators moving in. So that was another criteria
26 we had was distribution overlap.

27 Q Okay. Thank you. If I may just take you to page
28 46, I think there's another correction that should
29 be made. This is under the first sentence under
30 the heading "Pacific Cod". There's a reference to
31 the "North Atlantic". Should that be the "North
32 Pacific"?

33 DR. CHRISTENSEN: It should be, yes.

34 Q Thank you. If I may take you now to Table 5,
35 which is about page 72, I think, 71. Here's the
36 list of 26 potential predators. Dr. Christensen,
37 you mentioned that the list wasn't exhaustive.
38 It's a qualitative survey. How did you draw the
39 line between the ones you thought could be
40 considered potential and the ones you can dismiss
41 even though there was some evidence of there being
42 among those who love the sockeye?

43 DR. CHRISTENSEN: That's a difficult question actually
44 because are getting into less and less likely to
45 be of importance. For some where we had no diets,
46 no information about abundance or none of the
47 criteria, but we had expectations or we had

1 qualitative information that it was rare species,
2 we would exclude it. Or, where there's very
3 little spatial overlap between the potential
4 predator and the sockeye salmon, we, again,
5 wouldn't include it. But this is a long list and
6 you could add to it.

7 Q Thank you. But taking this list you then
8 identified a shorter list of six predators
9 referred to at the top of page 72 and I wonder if
10 you could just take us to that sentence or I can
11 take you to that sentence, Dr. Christensen, if you
12 can just very briefly tell us what attracted you
13 to these six species?

14 DR. CHRISTENSEN: May I say, first of all, it's six.
15 We could also have made eight or we could have
16 made ten. This is just to make a short list
17 really. It is subjective whether it's four or six
18 or eight. There's no hard criteria for this.

19 Q But in your judgment, are they listed in order of
20 their likely significance?

21 DR. CHRISTENSEN: Salmon shark, I would say, is at the
22 top of our list. For the rest, it's difficult to
23 say. They are probably less important. That's
24 what I would say.

25 Q Okay.

26 DR. CHRISTENSEN: If I may just comment very briefly on
27 why they're --

28 Q Very briefly.

29 DR. CHRISTENSEN: That's what you asked me.

30 Q We'll get into more detail on this later.

31 DR. CHRISTENSEN: No, just that we found evidence for
32 all of these six that they might have a quite
33 considerable impact but we also lack data for all
34 of them to make a proper evaluation, a thorough
35 evaluation, like real hard numbers as we love to
36 do. We couldn't do that. The information was not
37 available. But these were the prime candidates.

38 Q Thank you. Dr. Trites, I notice that on the list
39 of six, none is among your specialty of marine
40 mammals. Can you comment on, just very briefly,
41 the dismissal of marine mammals from that short
42 list?

43 DR. TRITES: Yeah, maybe we could just go back to the
44 table on page 71. So down at the bottom, we have
45 the marine mammals that are listed. And I think
46 the most striking thing was that while we could
47 find indications that all have eaten some sockeye

1 salmon, we didn't find an indication that sockeye
2 salmon was an important salmonids in the diets.
3 The only one that we flagged as a possibility was
4 white-sided dolphins and just as a possibility but
5 not up on the high list. And that was really
6 because there's just limited information. And
7 we'll probably discuss this later on --

8 Q Yes.

9 DR. TRITES: -- but only a few predation events have
10 been recorded and suggesting that sockeye might be
11 more important. But I think overall, that
12 evidence is relatively weak. So we just didn't
13 find a high indication despite the fact that we've
14 had increases in many of these populations and
15 we've had certainly the chance because there's
16 overlap between where sockeye are and where these
17 marine mammal species are. But overall when we
18 just looked at the big picture, it really came
19 down to one of diet, just not a strong indication
20 that the sockeye was an important salmonids in
21 their diets.

22 Q Thank you, Dr. Trites. Dr. Trites, you
23 contributed, I believe, to the forum called
24 "Speaking for the Salmon", correct?

25 DR. TRITES: Yes, that's right.

26 MR. WALLACE: And if I may ask you, Mr. Lunn, to take
27 us to Exhibit 12?

28 Q In that contribution, there's a paper which is
29 part of the document commencing at page 27. I
30 won't take you to it but just simply to ask you
31 whether the views you expressed then remain your
32 views?

33 DR. TRITES: Yes, they are.

34 MR. WALLACE: Thank you. And if I could ask you, Mr.
35 Lunn, to take us to page 92 of Exhibit 12? This
36 is a wrap-up, I think, by John Reynolds. And at
37 the bottom of page 92 in the last paragraph under
38 "Marine Mammals", in the second line:

39
40 Andrew Trites' presentation was very
41 interesting, especially with respect to the
42 hake story. It is so easy to point at a
43 single predator such as seals and be mad at
44 it.

45
46 Can you just tell the Commissioner, please, what
47 the "hake story" is?

1 DR. TRITES: Yeah, well, the point of this in the
2 presentation was to make people more appreciative
3 of the fact that predation isn't just a two-way
4 relationship. A lot of people think that because
5 a seal eats a salmon and just a very simple thing,
6 removing the seals, would result in more salmon.
7 And so this is pointing out that many of these
8 interactions are three-way, four-way, ten-way, 32
9 ways. We have to think of this as being food webs
10 so that removing a major predator such as harbour
11 seal would probably, based on the diet data we
12 have from the 1980s, could result in more hake in
13 the system, which could, in turn, result in them
14 eating many other species, possibly salmon. But
15 the point is that we're talking about a predator
16 that's part of a food web, not part of a two-way
17 relationship.

18 Q Thank you, Dr. Trites. I wonder, gentlemen, if I
19 may take you to your recommendations, which are on
20 page 82 and 83? Starting at the bottom of page
21 82, and there are five recommendations. Now, as I
22 read the recommendations, they are all designed to
23 teach us more about the role of predators, as a
24 threat to sockeye salmon. My question to you is
25 how do the recommendations go to improving future
26 sustainability of a sockeye salmon fishery? Dr.
27 Trites or Dr. Christensen? Thank you.

28 DR. CHRISTENSEN: The recommendations follow after a
29 plea for implementation of ecosystem-based
30 management. We have traditionally been managing
31 fisheries resources based on what we call single
32 species management where we mainly consider the
33 impact of the fisheries and tends not to fully
34 include the considerations of the ecosystem, the
35 other parts of the ecosystem and also of the
36 environment. There's a strong scientific almost
37 consensus that, including these additional facts
38 that will minimize the risk of failures. So
39 that's where it comes in that we may see less
40 failures if we understand the ecosystems better.

41 Q When you speak of failure, do you mean failure of
42 a particular species, in this case, sockeye?

43 DR. CHRISTENSEN: In this case, sockeye, but this may
44 also have implications for the predators and the
45 preys of sockeye and the competitors. So salmon
46 are part of the ecosystem and that's what we
47 encourage also with these recommendations that

1 should be considered.

2 Q Thank you. Then just looking at the five
3 recommendations, I want to just ask some questions
4 about, again, in a general sense, an order of
5 magnitude sense, the cost of the information you
6 suggest we should be seeking and the feasibility
7 of doing some of the work that's recommended. So
8 looking at the first recommendation, to summarize,
9 it's a recommendation of amassing more data on the
10 diet and population trends of the six most
11 significant species you've identified here. Now,
12 how would that data be collected, Dr. Christensen?

13 DR. CHRISTENSEN: This would call for substantial
14 efforts. We are talking about studies in the open
15 ocean. And the open oceans have with regards to
16 salmon not been started for many, many years. So
17 it's so limited effort that goes into that. This
18 is maybe at the most ambitious recommendation we
19 have. What we're calling for is really an
20 international effort, which would involve the
21 North Pacific countries and it would be a large
22 undertaking. But the methods we have now are so
23 much better than they were in the 1950s to 1970s
24 when the last big research efforts were conducted
25 in the North Pacific. We can easily be talking
26 about ten million dollars or more. But we're also
27 talking about maybe five countries participating.

28 Q Now, are there examples of this kind of data
29 gathering being done in other parts of the world
30 for other purposes?

31 DR. CHRISTENSEN: It happens regularly in other places,
32 in the North Atlantic. It also happens regularly
33 when we're talking about there's no oceanographic
34 information and other kinds of information. So
35 what we are asking for is to set up a similar
36 program that looks at the fisheries' ecosystem in
37 the North Pacific.

38 Q Now, in answering question 1, am I correct you
39 really have also addressed recommendations 2 and 4
40 as well?

41 DR. CHRISTENSEN: Yes, with regards to abundance of
42 species and diet studies on fish. And yes, with
43 regards to the part that deals with the open ocean
44 where the sockeye salmon spend two years of their
45 lifetime but not with regards to the coastal and
46 freshwater parts.

47 Q Right, right. Dr. Trites?

1 DR. TRITES: The point of our second recommendation was
2 to point out that a lot of the data we were
3 looking at is outdated. And sometimes there's an
4 assumption because an animal ate something in
5 1980, it's probably still eating that 40 years, 30
6 years later. So we were trying to point out that
7 you just can't assume because something used to be
8 that way that it's still the same today. And so
9 some attention has to be made to updating outdated
10 information.
11 Q Yeah. Now, correct me if I'm wrong but I think in
12 the comments I've just heard, we've covered pretty
13 much recommendations 1, 2 and 4, that's
14 determining more data on the six major culprits:
15 updating diet studies and focus those -- that
16 research in the open ocean seems to be the tenor
17 of those three recommendations. So moving on from
18 those, number 3 relates to creating a central diet
19 database. Now, is this something that is done in
20 other parts of the world?
21 DR. CHRISTENSEN: Yes, and again, if I may refer to the
22 North Atlantic. There is an international effort
23 there in creating diet databases. They go back
24 1981 and are very comprehensive. If we look at the
25 North Pacific, we do not have any similar. And as
26 part of the move towards ecosystem-based
27 management, which DFO is embracing, this would be
28 an obvious first step, a low apple really.
29 Q Okay.
30 DR. CHRISTENSEN: The information is largely there now.
31 There's a lot of information there now. But it is
32 spread out among different researchers, different
33 institutions and having one central repository for
34 it would be an important step for implementation
35 of ecosystem-based management to have access to
36 that information.
37 Q Now, you're describing this as a low apple. Are
38 you saying this is not an expensive thing to do?
39 DR. CHRISTENSEN: It is not, no.
40 Q Yeah. Dr. Trites?
41 DR. TRITES: Yeah, I just want to echo the same points.
42 One of our biggest challenges was the fact that it
43 was hard to find some of the diet information.
44 We're looking through data reports. Some are in
45 tables. Some of those original records are lost.
46 And it's fundamental, as we look towards doing
47 proper ecosystem-based management, to have this

1 sort of primary information coordinated,
2 collected, compiled and kept in some central
3 places so that it's available to other
4 researchers. I think it's fundamental for
5 ecosystem-based management to have such a database
6 established.

7 Q The final recommendation relates to constructing a
8 conceptual ecosystem model to assess the
9 cumulative role of predation on sockeye. Can one
10 of you describe to me in lay language what would
11 be involved in that modelling project?

12 DR. CHRISTENSEN: First of all, it has to span the
13 whole lifecycle of sockeye salmon. So we're
14 talking about a model that starts in the
15 freshwater and continues out to the straits and
16 encompasses also the North Pacific, the open gyre
17 area up there. This model would describe the
18 environment that the sockeye salmon encounters,
19 the prey and the predators, the competitors, draw
20 information about what we know about these
21 predators and put in some estimates for what's
22 important, what's not important, a bit like we've
23 been trying to do without making the model in our
24 report. To do that really just calls for a person
25 to do it. A post-doctoral fellow could easily do
26 this in a matter of certainly within a year.

27 MR. WALLACE: I have no further questions for this
28 panel, Mr. Commissioner. So if there are
29 questions arising from that overview, people can
30 put them when each of Dr. Trites and Dr.
31 Christensen come back. It's 11 o'clock. We could
32 go right into the next panel, if you'd like to do
33 that. Thank you. Dr. Christensen, you are
34 temporarily excused.

35 THE REGISTRAR: Mr. Wallace, did you need to mark that
36 document, Project 8?

37 MR. WALLACE: Oh, thank you very much. I didn't mark
38 that. I'm sorry. Thank you very much. May I
39 have the report number 8 marked, please?

40 THE REGISTRAR: Exhibit Number 783.

41
42 EXHIBIT 783: Cohen Commission Technical
43 Report 8 - Predation on Fraser River Sockeye
44 Salmon - Feb 2011
45

46 MS. TESSARO: Good morning, Mr. Commissioner. As Mr.
47 Wallace explained, we're now going to have Dr.

1 Trites joined by two DFO witnesses, who are on
2 their way. Perhaps while the witnesses are
3 getting set up, I'll just provide some
4 introductory comments about what we'll be doing
5 with these witnesses today. This panel is what
6 we're referring to as the Marine Mammal Panel.
7 This is something new we're trying today in
8 combining DFO witnesses with our project experts.
9 And the hope, Mr. Commissioner, is that in having
10 people from different perspectives testify
11 together, we're going to aim for a collaborative
12 approach and try and draw out agreements where
13 they exist, and where they do not, to hear
14 evidence of those disagreements. My time estimate
15 is 75 minutes.

16 THE REGISTRAR: Good morning, sir.

17
18 JOHN FORD, affirmed.

19
20 THE REGISTRAR: Would you state your name, please?

21 DR. FORD: John Ford.

22 THE REGISTRAR: Thank you. Counsel?

23 MS. TESSARO: Mr. Giles, if we could also have Mr.
24 Olesiuk...?

25 THE REGISTRAR: Oh, I'm sorry.

26
27 PETER OLESIUK, affirmed:

28
29 THE REGISTRAR: Would you state your name, please?

30 MR. OLESIUK: Peter Olesiuk.

31 THE REGISTRAR: Thank you very much.

32 MS. TESSARO: And just a reminder that the microphone
33 probably is best to leave it on. I'm not sure if
34 you're name got captured there. Mr. Commissioner,
35 I'm going to seek to qualify Dr. Ford and Mr.
36 Olesiuk as expert witnesses. And in aid of that,
37 if you could pull up Tab 5 of the Commission's
38 list of documents, Mr. Lunn?

39
40 EXAMINATION IN CHIEF ON QUALIFICATIONS BY MS. TESSARO:

41
42 Q And Dr. Ford, I should just confirm that you've
43 watched the proceedings this morning and you're
44 aware of the lengthy process I'm going to take you
45 through now?

46 DR. FORD: Yes.

47 Q Is this your c.v.?

1 DR. FORD: It is.

2 MS. TESSARO: Could we have this c.v. marked as the
3 next exhibit, please?

4 THE REGISTRAR: Exhibit Number 784.

5

6 EXHIBIT 784: *Curriculum Vitae* of John Ford

7

8 MS. TESSARO:

9 Q So Dr. Ford, you are a DFO research scientist and
10 the program head of the Cetacean Research Program
11 at DFO's Pacific Biological Station and have
12 served in that position since 2001, correct?

13 DR. FORD: That's correct.

14 Q You're also an adjunct professor in the Department
15 of Zoology and in the Marine Mammal Research Unit
16 at the University of British Columbia?

17 DR. FORD: That's correct.

18 Q And in that capacity, you have supervised and
19 advised both Masters and Ph.D. students, including
20 graduate students studying the diets of Pacific
21 white-sided dolphins?

22 DR. FORD: Yes, that's correct.

23 Q You received a Ph.D. in zoology from UBC in 1985
24 for your studies on the behaviour and acoustics of
25 killer whales?

26 DR. FORD: That's correct.

27 Q And since that time, you have continuously studied
28 and published papers on marine mammals in B.C.
29 coastal waters and conducted field research into
30 the conservation status, ecology and foraging
31 strategies of endangered and threatened cetaceans,
32 correct?

33 DR. FORD: That's correct.

34 Q And you have also provided science advice to DFO
35 managers relevant to fisheries management and to
36 recovery of endangered and threatened cetacean
37 species, correct?

38 DR. FORD: Yes, that's correct.

39 Q And finally, are you currently a member of the
40 Marine Mammal Specialist Committee of COSEWIC?

41 DR. FORD: I am, yes.

42 Q And how long have you been a member of that
43 committee?

44 DR. FORD: Five years, I believe.

45 MS. TESSARO: I would ask that Dr. Ford be qualified as
46 an expert in the conservation, behaviour and
47 ecology of cetaceans in B.C. waters, including

1 their foraging habits.

2 THE COMMISSIONER: Yes, thank you.

3 MS. TESSARO: Mr. Lunn, could I have Tab 6?

4 Q We're going to proceed through that same exercise,
5 Mr. Olesiuk. Is this your c.v.?

6 MR. OLESIUK: It is.

7 MS. TESSARO: Could I please have this marked as the
8 next exhibit?

9 THE REGISTRAR: Exhibit 785.

10

11 EXHIBIT 785: *Curriculum Vitae* of Peter
12 Olesiuk

13

14 MS. TESSARO:

15 Q And Mr. Olesiuk, you are a marine mammal biologist
16 at DFO Pacific Biological Station, a position you
17 assumed in 1982?

18 MR. OLESIUK: Correct.

19 Q And since 1990, you've also been the head of the
20 Pinniped Research Program at PBS?

21 MR. OLESIUK: Yes.

22 Q Since joining DFO in 1982, you have conducted
23 field research and published scientific articles
24 and technical reports on the status, population
25 biology, bioenergetics and feeding habits of
26 seals, sea lions and other marine mammal species
27 in B.C. waters?

28 MR. OLESIUK: I have.

29 Q And since joining DFO in 1982, you've also given
30 science advice on the management of pinnipeds?

31 MR. OLESIUK: I have.

32 Q You've contributed to the development of pinniped
33 survey and research techniques, including scat
34 analysis and satellite telemetry?

35 MR. OLESIUK: Correct.

36 Q I think that's the first time I've said "scat" in
37 a courtroom. And you're also responsible for seal
38 and sea lion surveys and assessments in B.C. and
39 collaborate with marine mammal researchers in
40 Alaska, Washington, Oregon and California on those
41 assessments?

42 MR. OLESIUK: Yes.

43 MS. TESSARO: I would ask that Mr. Olesiuk be qualified
44 as an expert in the conservation, biology and
45 ecology of seals and sea lions in B.C. waters,
46 including their prey requirements and diet.

47 THE COMMISSIONER: Yes, thank you, Ms. Tessaro.

1 MS. TESSARO: The first topic I'd like to discuss with
2 the panellists today is the Pacific Salmon
3 Commission workshop that occurred in June 2010.
4 And I'll note that this is in pursuit of our terms
5 of reference, which direct the Commissioner to
6 consider previous reports, examinations and
7 inquiries.
8

9 EXAMINATION IN CHIEF BY MS. TESSARO:

10
11 Q And I'll just ask all three of you to confirm
12 whether you attended the PSC workshop on Fraser
13 River Sockeye Decline in June 2010.

14 DR. TRITES: I did not.

15 DR. FORD: I did attend the workshop.

16 MR. OLESIUK: And prior to the workshop, I worked with
17 John and provided some information on seals and
18 sea lions, which he included in his presentation.

19 Q And were you at the workshop?

20 MR. OLESIUK: No.

21 MS. TESSARO: Thank you. Mr. Lunn, could I ask you to
22 pull up Exhibit 573, please?

23 Q Mr. Olesiuk, you just referenced a presentation
24 that you assisted Dr. Ford with. Is this the
25 presentation that you're talking about? I'm
26 sorry. We should turn to page 2 of this document.

27 MR. OLESIUK: Yes, it is.

28 Q And Dr. Ford, in addition to this five-page
29 summary of your presentation, I understand you
30 also presented a PowerPoint to the PSC conference?

31 DR. FORD: That's correct.

32 MS. TESSARO: And if we could just, seeing as it's been
33 mentioned, leave this document aside and quickly
34 pull up that PowerPoint for the purpose of getting
35 it on the record. It's Tab 13 of my list of
36 documents.

37 Q I'll just ask you to confirm, Dr. Ford, that this
38 is the PowerPoint that you presented to the PSC
39 workshop.

40 DR. FORD: Yes, it is.

41 Q You don't need to look at the document any further
42 to confirm that? If you do, there's a binder of
43 documents in front of you.

44 DR. FORD: The title page is correct so I assume the
45 rest is.

46 Q Okay, great. Thank you. And so if I understand
47 correctly, you authored this PowerPoint with input

1 from Mr. Olesiuk?

2 DR. FORD: That's correct.

3 MS. TESSARO: So I think we can set that document
4 aside, although I commend it for its amazing
5 photographs and for its content. If we could just
6 quickly turn to page 6 of this document where the
7 conclusion is found and maybe highlight out those
8 first two paragraphs?

9 Q And my question is for both Dr. Ford and Mr.
10 Olesiuk and, that is, do you still agree almost a
11 year later with the conclusion provided here in
12 the first paragraph of page 6 and, in particular,
13 that:

14
15 Only Steller sea lions and Pacific white-
16 sided dolphins appear to be potentially
17 significant predators of sockeye.

18
19 DR. FORD: Yes, I still agree with that.

20 MR. OLESIUK: Yeah, and I agree with it as well.

21 MS. TESSARO: If we could turn back to page 5 of this
22 document and go down to the portion on harbour
23 seals?

24 Q I'm wondering, Mr. Olesiuk, if this still reflects
25 your general views on the potential of harbour
26 seals to have predation impacts on Fraser River
27 sockeye, either in 2009 or in the longer term?

28 MR. OLESIUK: It does but you need to keep in mind that
29 we are talking here specifically about Fraser
30 River sockeye. I wouldn't dismiss harbour seals
31 as being significant predators on other salmon
32 stocks.

33 Q Thanks for that clarification. One thing I note
34 in this discussion of harbour seal as a potential
35 predator is that there's no reference in this
36 paragraph to the notion that harbour seals prefer
37 sockeye or have particular preferences for any
38 particular species of salmon. And my question is
39 for all of the panellists to the extent they know.
40 Do harbour seals prefer sockeye? And maybe we'll
41 start with Dr. Trites.

42 DR. TRITES: Okay. The challenge with determining the
43 diet of harbour seals is that it's relying on
44 identifying hard parts in fecal sample scats. And
45 it's not been possible just from the physical
46 shapes of the bones to know what proportion are
47 sockeye salmon. To get at that now DNA techniques

1 are available and that work remains to be done and
2 will be done over the coming years. So there's
3 nothing firm in terms of the data outside of we
4 can identify bones as being salmonid.

5 Whether or not it's important, there's only
6 sort of a few anecdotal observations. One comes
7 from the work of Mr. Olesiuk suggesting that in
8 estuaries that had sockeye salmon there were fewer
9 harbour seals seen on average compared to other
10 estuaries that had other species. And second,
11 there's a report from Alaska where they found that
12 comparing the distance where harbour seals haul
13 out from some of the major rivers that they seem
14 to be furthest away from rivers that had sockeye
15 salmon runs. So they're sort of anecdotal. It
16 doesn't get down to the nuts and bolts. But it's
17 sort of the first I've been suggesting maybe when
18 we do, do the DNA work we're not going to find a
19 high proportion of sockeye.

20 Q Is there any reason, just to follow up on what you
21 just said, to believe that, in fact, harbour seals
22 are disinclined towards sockeye in contrast to
23 other salmon species?

24 DR. TRITES: I think I couldn't answer that specific to
25 harbour seals. Certainly, if we're going to speak
26 more generally about other species of marine
27 mammals, sockeye seems to be the least preferred
28 of all the salmon species, at least showing up the
29 least frequently. And that raises questions why.

30 Q And just turning to the other two witnesses,
31 perhaps Mr. Olesiuk?

32 MR. OLESIUK: Yeah, if I could just add to what Andrew
33 said. We have gone into some estuaries, not the
34 Fraser River, and done more detailed observational
35 studies where we actually observe seals feeding on
36 salmon, collect scale samples and those can be
37 identified to species. And what we can say about
38 seals is that they are generalists when it comes
39 to preying on salmon. They will take all species
40 that are available depending on their relative
41 accessibility, I think. And getting back to
42 Andrew's point about numbers of seals in
43 estuaries, actually there are significant numbers
44 of seals in the Fraser River estuaries when salmon
45 are returning but the ratio of seals to the large
46 salmon runs that go up the Fraser are lower than
47 we see in some of these smaller estuaries.

1 Q I don't know if you have anything to add to the
2 other two witnesses' answers?

3 DR. FORD: No, I have nothing to add to those.

4 Q While we're at this PSC presentation, I should
5 just confirm, Dr. Trites, have you reviewed this
6 six-page summary?

7 DR. TRITES: No.

8 MS. TESSARO: Okay. And now that we've seen the
9 presentation that was made to the PSC and had a
10 glimpse at the PowerPoint, if we could look at the
11 PSC report itself?

12 Q I'd like to seek your views on some of the
13 comments that are made in the PSC report.

14 MS. TESSARO: And Mr. Lunn, that's Exhibit 73.

15 Q And if you could go to what is marked as page 58?
16 And the sentence I'd like to ask Dr. Ford to
17 comment on is the first sentence of the fourth
18 paragraph on page 58, which reads:

19
20 The presentation by John Ford on predation by
21 marine mammals suggested that consumption of
22 sockeye was negligible for most marine mammal
23 species...

24
25 And Dr. Ford, I'd ask when characterizing
26 consumption of sockeye as "negligible", are you
27 comparing that to other salmon species or are you
28 talking about fish species generally?

29 DR. FORD: I haven't read this for some time. It would
30 be, I think, overall for marine mammals with the
31 exception of the species that we have highlighted
32 as potentially having a significant -- of sockeye
33 having a significant role in their diet, it would
34 be negligible for the majority of marine mammal
35 species with the caveat that for many of these
36 species their diet is relatively poorly known.

37 Q We've seen that your conclusion in your five-page
38 summary referenced really only two species as
39 potentially significant, the Steller sea lion and
40 the Pacific white-sided dolphin. And here the PSC
41 report, in the middle of this same paragraph, says
42 that:

43
44 However, four other predators - the Steller
45 sea lion, Pacific white-sided dolphin,
46 harbour seal, and humpback whale - were
47 considered to have the greatest potential for

1 contributing to declines of Fraser sockeye...

2
3 Do you agree with that?

4 DR. FORD: I do not agree with that, no. The two
5 species, Steller sea lion and Pacific white-sided
6 dolphin, I did highlight as being potential
7 sockeye predators that may have potentially had a
8 role in the long-term declines of Fraser River
9 sockeye but harbour seals and humpback whales were
10 not included in that conclusion. And I don't
11 believe that they have a great potential for
12 contributing to declines of Fraser sockeye.

13 Q And indeed humpback whales weren't noted at all in
14 your presentation?

15 DR. FORD: That's correct. They did come up in the
16 discussion after my presentation because of new
17 information from studies in southeastern Alaska
18 that had indicated that certain individual
19 humpbacks have been targeting out-migrating or
20 smolts released from hatcheries and may have an
21 impact but there's no evidence that humpbacks
22 naturally feed on any salmonids species.

23 Q And maybe this is a good opportunity to explain to
24 the Commissioner and the participants the concept
25 of depredation. Is that what is being witnessed
26 by people observing the humpback whales in
27 southeast Alaska?

28 DR. FORD: Depredation as a process is often used in
29 the context of wildlife taking food from active
30 fishing operations. Depredation by whales can
31 include removing fish from long-line fishing
32 activities and so on. So that would be
33 depredation of an artificially high concentration
34 of smolts presumably coinciding with the release
35 from a hatchery.

36 Q Okay. I see your hand, Dr. Trites. But Mr.
37 Olesiuk, if you could look at the final paragraph
38 here because there's a sentence I'd like you to
39 comment on. It's the sentence that begins:
40 Pacific salmonids (all species) account for a
41 significant portion of the diet of Steller
42 sea lions, exceeding 20% of their diet in
43 summer and fall.

44
45 Do you agree with that statement?

46 MR. OLESIUK: No, I don't. And I think that was a
47 slight misinterpretation from a slide that was

1 included in John's presentation showing the
2 frequency of occurrence. And that indicated that
3 a greater than 20 percent of Steller sea lions fed
4 on salmon on a regular basis but that doesn't mean
5 that it represented 20 percent of their diet
6 because they were also feeding on other prey at
7 the same time. We did not have actually diet
8 estimates for Steller sea lions at the time this
9 presentation was made and this summary written.
10 We've since got improved estimates that I think
11 are more reliable.

12 Q And we'll definitely come to those other
13 estimates.

14 MR. OLESIUK: Yeah. And if I could just go back to the
15 preceding paragraph that reads here:

16
17 ...suggested that consumption of sockeye was
18 negligible for most marine mammals...

19
20 I would not characterize that for harbour seals.
21 I think it was insignificant in terms of the
22 overall productivity of sockeye but I wouldn't
23 characterize it as being negligible.

24 Q Thank you. And Dr. Trites, just before we leave
25 this page, is there anything you'd like to add in
26 particular with respect to whether humpback whales
27 actually eat salmon at all?

28 DR. TRITES: Yeah, I was just going to say that this is
29 addressed in the predation report that Dr.
30 Christensen and I wrote and we support what Dr.
31 Ford presented. We drew the same conclusion.
32 That's on page 69 of our predation report, the
33 section on humpback whales.

34 Q That's very helpful. Thank you. I'd just like
35 to, in the same vein, touch on two more points
36 really quickly on the next page at page 59. The
37 first is the first full paragraph and this is a
38 question for you, Dr. Ford. It says that there's
39 an estimated 25,000 Pacific white-sided dolphins
40 occurring in B.C. I'm wondering if that number is
41 subject to some question.

42 DR. FORD: That number is based on a single survey,
43 vessel survey, over a portion of the British
44 Columbia coast that took place in 2004 and 2005,
45 not by our research group. It has to be put in
46 the context of rather broad confidence intervals
47 around that estimate. So it is the best estimate

1 but the range could be from roughly half that
2 number to perhaps higher than that number. So
3 there's considerable uncertainty in that estimate
4 but it is the only estimate that we have for a
5 portion of the British Columbia coast.

6 MS. TESSARO: And if we could finally move to page 96
7 of this document, which is Table 5.1? And I'm
8 interested in the final right-hand side column.
9 I'm not sure if people can read that. I'm
10 looking, for the witnesses' benefit, to the far
11 right column under the heading, "Plausibility and
12 Realism of Proposed Mechanism". Can people see
13 that?

14 Q It seems to me, and I'd like Dr. Ford and Mr.
15 Olesiuk's reactions, that this section, there's a
16 number of bullets that are subject to some factual
17 criticism. And one would be, for example:

18
19 There are 60,000 Steller sea lions in B.C.
20 SK are > 20% of their diet...

21
22 Is that correct, Mr. Olesiuk?

23 MR. OLESIUK: No, I think that 60,000 comes from an
24 estimate from B.C. and southeast Alaska combined.
25 We often do our assessments for those areas
26 together because there's a lot of exchange of
27 animals and larger breeding sites near the border.
28 And again, as I said before, sockeye are not
29 greater than 20 percent of the diet in summer.
30 They are about, I believe the figure is about 12
31 percent during the summer. Ten percent overall of
32 their annual diet is salmon, which a small
33 percentage would be sockeye.

34 Q And a final question about this document is, it's
35 indicated in red font in this column that:

36
37 Sockeye were less than 5% of diet in a 1980s
38 study...

39
40 I'm assuming, Mr. Olesiuk, that this is your study
41 that's being referred to here. Do you know that?

42 MR. OLESIUK: I actually don't know where that number
43 came from. I don't think it's an accurate figure
44 of our inferred species composition of the salmon
45 consumed by seals based on their distribution
46 relative to different sockeye stocks that were
47 being consumed. So no, I don't know where that 5

1 percent number comes from.
2 Q Overall, based on a number of what I'll
3 characterize as errors in this document, would it
4 bring into question for you the PSC author's
5 conclusion that over the long term, and this I
6 should actually flag is at page 61, at the very
7 top of 61, that:

8
9 Marine mammal predation is considered
10 **possible** as an explanation for the long-term
11 decline in productivity of Fraser sockeye.
12

13 Do you have any concerns about that conclusion,
14 Dr. Ford or Mr. Olesiuk?

15 DR. FORD: Yes, I believe that this could be
16 misinterpreted to indicate that the single
17 explanation for the long-term decline could be
18 attributed to marine mammal predation so I don't
19 agree with that statement. What I think would be
20 more reasonable is that marine mammal predation is
21 considered possible as one of the explanations or
22 one of the factors responsible for the long-term
23 decline.

24 Q I see a head shake from Mr. Olesiuk?

25 MR. OLESIUK: Yeah, I would have used as possibly
26 contributing to the long-term decline.

27 Q Dr. Trites, any views on this?

28 DR. TRITES: Yeah, I would also say certainly predation
29 is a contributing factor.

30 MS. TESSARO: And I note the time, it's 11:30. It's a
31 convenient time for me to break.

32 THE COMMISSIONER: Thank you.

33 THE REGISTRAR: The hearing will now recess for 15
34 minutes.
35

36 (PROCEEDINGS ADJOURNED FOR MORNING RECESS)
37 (PROCEEDINGS RECONVENED)
38

39 THE REGISTRAR: Order. The hearing is now resumed.

40 MS. TESSARO: Mr. Commissioner, my remaining 45 minutes
41 I'm going to basically touch on three topics in
42 15-minute chunks. We'll go through this at a bit
43 of a galloping pace.

44 The first topic is going to be a discussion
45 primarily with Dr. Ford about cetaceans, and in
46 that respect it's going to be mostly about killer
47 whales and Pacific white-sided dolphins. Secondly

1 we're going to have a discussion primarily with
2 Mr. Olesiuk about pinnipeds and that will focus
3 largely on Steller sea lions. And finally we're
4 going to have a few policy questions, policy-
5 oriented questions in the last 15 minutes.
6

7 EXAMINATION IN CHIEF BY MS. TESSARO, continuing:
8

9 Q So, Dr. Ford, could you briefly describe your
10 general duties and activities as the Head of the
11 Cetacean Research Program?

12 DR. FORD: My research activities, sorry?

13 Q Your employment duties, your research activities,
14 the panoply.

15 DR. FORD: Right. I am Program Head for the Cetacean
16 Research Program and our mandate is to undertake
17 studies on the conservation status of threatened
18 and endangered cetacean, whale, dolphin and
19 porpoise species that are listed under the **Species**
20 **at Risk Act**. And this involves a wide range of
21 studies of their distribution, abundance, feeding
22 ecology, and these kinds of questions.

23 Q So to be clear, the only species that your program
24 is researching are species listed under **SARA**?

25 DR. FORD: The great majority of our funding support
26 comes from the **Species at Risk** program within
27 Fisheries and Oceans Canada. We have received
28 some funding to address questions on non-listed
29 species, as well, but that's a minor role of our
30 work at present.

31 Q And which are the species, then, that are the more
32 major focus of your program at present? Can you
33 give us an idea of those **SARA** listed species that
34 you most focus on?

35 DR. FORD: Well, the priority is based on the level of
36 endangerment, really, for each species. And so
37 the endangered species include the large whales,
38 like blue whales, sei whales, North Pacific right
39 whales. Also one of the populations of resident-
40 type killer whales, the southern residents, are
41 also endangered and so they have some priority.
42 But then other species included at the threatened
43 level include the fin whale, humpback whale, and
44 three different populations of killer whale, the
45 northern resident killer whale, the transient
46 killer whale and offshore-type killer whale.
47 These are populations that are considered distinct

1 by the **Species at Risk Act** and by COSEWIC, so
2 they're essentially treated like separate species.
3 Q And could you just describe those three ecotypes
4 or essentially different species of killer whales
5 that you just mentioned, the transients, the
6 offshores and the residents. Could you in
7 particular describe the prey preferences of each
8 of those three species or populations.

9 DR. FORD: Fine. The killer whale is an unusual
10 animal. It's the ocean's apex predator, nothing
11 preys on killer whales but it can -- potentially
12 can prey on most organisms in the ocean. And it
13 has an unusual -- it has evolved in an unusual way
14 to be highly specialized on different prey types,
15 even in waters where these different populations,
16 the different specialized groups overlap.

17 So in this part of the world, in the north-
18 eastern Pacific, we have resident killer whales,
19 which are fish feeding specialists, primarily
20 salmon, but also some groundfish and the
21 occasional squid.

22 We have in the same waters transient type
23 killer whales. These do not mix with the
24 residents. They're genetically different.
25 They're socially isolated from one another. And
26 this population feeds almost exclusively on marine
27 mammals, that is, seals, sea lions, dolphins,
28 porpoises, occasionally they'll take some sea
29 birds, but they do not feed on fish whatsoever, to
30 our knowledge.

31 And the third type is a rather poorly known
32 ecotype referred to as offshore killer whales.
33 This is a population that seems to be quite small,
34 perhaps 500 animals, ranges widely up and down the
35 continental shelf. Our knowledge of its diet is
36 rather poor, but we have recently documented them
37 preying on large sharks, specific sleeper sharks,
38 which are a rather deepwater shark. And because
39 of extensive teeth wear in this particular
40 population where the teeth are worn flat, we have
41 hypothesized that they must prey extensively on
42 sharks, perhaps they're shark specialists, because
43 the abrasive nature of the skin of sharks would
44 cause extensive tooth wear, the kind of the wear
45 that we just don't see in the other ecotypes, the
46 resident and transient killer whales.

47 Q In your opinion, do any of these three ecotypes of

1 killer whales have the potential to have any
2 marked predation impacts on Fraser River sockeye,
3 and how confident are you of your assessment of
4 each of those three ecotypes?

5 DR. FORD: Well, I would start with the highest
6 confidence that they're not, and that would be the
7 transient killer whale. Because we have in 30
8 years of observing predation by this particular
9 type of animal and by examining stomach remains of
10 stranded whales, we have yet to see any predation
11 on any species of fish. So I would be the most
12 confident about that.

13 Offshore killer whales, we're by far less
14 certain. It is possible they prey on some
15 salmonids, but the extent to which, we don't know.
16 But their distribution pattern does not seem to
17 coincide with the migration timing and location
18 for any salmonid, especially sockeye salmon. So I
19 would be surprised that they feed significantly on
20 any salmonid, in particular on sockeye.

21 Q Just to be clear, though, you wouldn't be able to
22 with any confidence, quote, "rule them out"?

23 DR. FORD: No, we would not be able to rule them out as
24 preying to some degree on salmonids, including
25 sockeye.

26 Q Okay.

27 DR. FORD: And then for the resident type killer whale,
28 we've been studying them extensively, using a
29 combination of recovery of prey fragments from the
30 site of kills extensively on the coast, including
31 Haida Gwaii and the whole coast of British
32 Columbia from Alaska to Washington State, and over
33 the last 20 years or so we've collected over 800
34 samples, or samples of scales and bits of tissue
35 from over 800 kills by these whales. And of
36 those, only four have been -- those are salmonids,
37 only four have been sockeye. This discovery was a
38 surprise to us when we realized that sockeye seems
39 to be insignificant in their diet, because the
40 whales' occurrence in these migratory corridors
41 for salmon heading to the Fraser River coincides
42 quite strongly with not just sockeye, but with
43 pink salmon and other very abundant species of
44 salmon.

45 And so we long assumed that they preyed
46 widely on different species of salmon, but it was
47 only when we started recovering these prey

1 fragments and actually keying them out by unique
2 features of their scales, which allows species
3 identification, as well as aging, and also using
4 more recently genetic techniques to identify
5 tissue samples, that we realized that they are
6 very much targeting chinook salmon, which
7 represents almost three-quarters of all the kills
8 that we've documented, which was a great surprise,
9 because numerically, chinook salmon are
10 outnumbered by over 500 fish to one in most cases,
11 for example, compared to sockeye or pink salmon.

12 So we've thought a lot about why this must be
13 so, or why they are so specialized. And it
14 appears that the chinook's life history strategy
15 is such that they are available to these resident
16 killer whales in their range throughout the year,
17 unlike other species like pink and sockeye that
18 spend much of their lifecycle on the high seas and
19 are essentially unavailable to these whales. And
20 also we believe that they target chinook salmon
21 because they're so much larger than the
22 alternative salmonids, ranging up to, you know, 20
23 kilograms or more, many times the size of a single
24 sockeye, for example. And also that they tend to
25 have the highest fat content or energy content of
26 all the salmonids.

27 But what is still surprising to us, or was,
28 that much of our sampling and observations of
29 predation by these killer whales takes place at
30 the peak of the sockeye migrations, which in some
31 years can be very extensive, in areas like
32 Johnstone Strait, Juan de Fuca Strait, the sort of
33 migratory corridors. Yet even though we can see
34 sockeye in the water in great numbers schooling,
35 when the whales made kills, invariably they have
36 turned out to be chinook salmon. Secondarily of
37 interest is chum salmon and coho, but pink and
38 sockeye just do not appear to be significant prey.

39 Q I know you have written numerous articles on this.
40 We're not going to tender all of them as exhibits,
41 but I do have what I understand to be some of the
42 most recent and perhaps most relevant work that we
43 can simply have you identify and mark for the sake
44 of having some documentary -- further documentary
45 support for what you just said. And that if, Mr.
46 Lunn, you could pull up Tab 16. This is actually
47 not what I -- sorry, Tab 15. I apologize.

1 And, Dr. Ford, this would be a recent
2 technical report or research document that you co-
3 authored?

4 DR. FORD: That's correct.

5 Q And you're the lead author?

6 DR. FORD: Yes.

7 MS. TESSARO: And perhaps we'll just have this marked
8 as the next exhibit. I do have a question,
9 actually, about this document's origin for you.

10 THE REGISTRAR: Exhibit 786.

11

12 EXHIBIT 786: Ford et al, Chinook salmon
13 predation by resident killer whales:
14 seasonal and regional selectivity, stock
15 identity of prey, and consumption rates, CSAS
16 Research Document 2009/101

17

18 MS. TESSARO: Thank you.

19

20 Q And I understood this arose out of a request.
21 could you describe for the Commissioner how it
22 came to be that you wrote this paper and what it
23 was in furtherance of.

24

25 DR. FORD: Certainly. This report was written for
26 review by the National Marine Mammal Peer Review
27 Committee in the fall of 2009. It was requested
28 -- advice was requested from Fisheries and
29 Aquaculture Management through the Marine Mammal
30 Coordinator, Paul Cottrell, at Fisheries and
31 Oceans. And it was to address the question of the
32 minimum requirements of chinook salmon in order to
33 sustain the current population levels of resident
34 killer whales, and to provide sufficient food for
35 population recovery to levels higher than they are
36 today.

37

38 Q Would you -- is it fair to describe this effort as
39 something in the nature of an integrated approach
40 to ecosystem management, or ecosystem-based
41 management?

42

43 DR. FORD: Yes, I believe so. The intent was to work
44 towards integrating the requirements of resident
45 killer whales, one of the primary predators of
46 chinook salmon, into the management of fisheries
47 for chinook salmon.

48

49 Q And have you seen any comparable efforts to
50 effectively co-manage marine mammals and salmon
51 during your time at DFO?

52

53 DR. FORD: I have not, no.

1 Q Have you seen any efforts to provide marine mammal
2 science advice to sockeye fisheries managers?

3 DR. FORD: I have not in my ten years with DFO.

4 Q And have you had any other perhaps less formal
5 interactions with fisheries managers, for example,
6 have you ever been asked to make presentations to
7 fisheries harvest planning committees, or things
8 of that nature?

9 DR. FORD: Yes. Yes, I've made presentations to the
10 Fisheries and Aquaculture Management Group here in
11 Vancouver on the subject of Salmon Predation by
12 Resident Killer Whales, and also to have had
13 meetings with salmon managers, Jeff Grout, for
14 example, again along with Paul Cottrell, who is
15 our main liaison. He's in Fisheries and
16 Aquaculture Management, but he's our main liaison
17 between Science and Marine Mammal Science and
18 Management.

19 Q And just two more questions on killer whales. The
20 first is about transients. You've heard this
21 morning evidence about the complexity of food
22 webs, the fact that food webs are not two-way
23 relationships, there's many parties involved. And
24 I'm wondering if it has been hypothesized that
25 transients may be having an indirect effect on
26 Fraser river sockeye.

27 DR. FORD: The indirect effect of transient killer
28 whales on Fraser River sockeye would be dependent
29 on the extent to which the prey of transient
30 killer whales feed on that particular resource.
31 As we've heard, and I'm sure will in greater
32 detail, there's some question about the extent to
33 which the prey of transient killer whales,
34 specifically Pacific white-sided dolphins, harbour
35 seals, Steller sea lions, the extent to which each
36 of these species preys on Fraser River sockeye.
37 There's a lot of uncertainty in that regard, but
38 indeed there is certainly the possibility for what
39 are called top-down effects on these prey
40 populations, where killer whales, mammal hunting
41 killer whales, could reduce the population
42 abundance of their prey, such as harbour seals and
43 sea lions, et cetera, and thereby indirectly
44 affect, lift predation pressure on the suite of
45 species that those prey animals are indeed
46 themselves preying on.

47 Q My final question is something that I forgot to do

1 before, which is refer you to Tab 18 of my list of
2 documents, which is your recent paper on the diets
3 of offshore killer whales. Could you confirm
4 that.

5 DR. FORD: It is.

6 MS. TESSARO: And could we mark this as the next
7 exhibit, please.

8 THE REGISTRAR: Exhibit 787.

9
10 EXHIBIT 787: Ford et al, Shark Predation and
11 Tooth Wear in a Population of Northeastern
12 Pacific Killer Whales, January 6, 2011
13

14 MS. TESSARO:

15 Q Just very quickly, Dr. Trites, is there anything
16 that Dr. Ford has said in the last ten minutes
17 that you have cause to disagree with?

18 DR. TRITES: No. No, I think it's just fascinating the
19 amount of attention that's been paid, and how
20 often -- I think a lesson out of this is that
21 often what we think is going on, once we spend
22 more time looking carefully, is not what's
23 actually happening. So initial reaction might
24 have been they should be eating lots of sockeye,
25 but the research that Dr. Ford has shown is that
26 that was an incorrect assumption, the data show
27 otherwise.

28 Q And in contrast, and very quickly, Pacific white-
29 sided dolphins, I understand -- is DFO doing
30 research on Pacific white-sided dolphin's
31 abundance, distribution, diet, anything of that
32 nature?

33 DR. FORD: Our field research is funded almost entirely
34 by the **Species at Risk Act**, and so ostensibly is
35 targeting these particular species when we
36 undertake field work, either on DFO ships or in
37 our smaller vessels, coast-wide. So we collect
38 information on all the species of cetaceans that
39 we encounter. So one could say these would be
40 opportunistic observations and data collection on
41 Pacific white-sided dolphins.

42 The only targeted work that we have
43 undertaken is some three years of funding from the
44 Strait of Georgia Ecosystem Research Initiative,
45 which provided funds for us to examine the stomach
46 contents of small cetaceans in the Strait of
47 Georgia region. So this enabled us to look at the

1 stomach contents from stranded individuals of
2 Dall's porpoise, harbour porpoise and Pacific
3 white-sided dolphins to look at their diet, but
4 that would be the only directed studies on those
5 species.

6 Q Do you think that the Pacific white-sided
7 dolphin's abundance, distribution and diet should
8 be a priority for DFO research? And in particular
9 with respect to its potential impacts on Fraser
10 River sockeye?

11 DR. FORD: I think that there certainly is far too
12 little known about the foraging ecology, the diet,
13 the distribution of abundance of Pacific white-
14 sided dolphins, as well as numerous cetaceans on
15 the coast. There's in total 25 different
16 cetaceans known from the waters of British
17 Columbia and some of these are far more poorly
18 known than even the Pacific white-sided dolphin.
19 But they're certainly, given the documented
20 predation on salmonids by Pacific white-sided
21 dolphins and the recent abundance survey that
22 indicated that there are substantial numbers of
23 them on the British Columbia coast, that greater
24 work would be warranted to help fill those gaps.

25 Q We have your presentation materials to the PSC and
26 we have Dr. Trites' report, and I'm not going to
27 turn to those, but do either of you view the
28 Pacific white-sided dolphin as having a real
29 potential, in contrast to say a hypothetical
30 potential, a real potential to have a significant
31 predation impact on Fraser River sockeye. And in
32 answering that question, I'd ask you to reference
33 what direct evidence exists of dolphin predation
34 on sockeye.

35 DR. FORD: The evidence for predation on sockeye is
36 primarily from a single study done by a University
37 of British Columbia Masters student, Kathy Heise,
38 from prey fragment sampling in areas on the
39 Central Coast and Northern Vancouver Island, in
40 the 1990s, in the mid-1990s. And she collected
41 samples and was able to identify the prey species
42 in, I believe, 63 incidents of predation and
43 documented predation from these samples on
44 sockeye, coho and pink salmon. And then also
45 there has been -- she looked at stomach contents
46 of some animals that were bycatch in gillnets,
47 incidentally drowned. These had chum salmon in

1 their stomach. So this is the extent to which we
2 understand really that they do prey on salmonids
3 in addition to many other species of prey.

4 So they do not appear to be salmonid
5 specialists, like a resident killer whale, for
6 example, but they have the ability to prey on a
7 wide size range of different species, including
8 salmonids, right from first smolts to adult
9 returning fish up to about 60 centimetres, which
10 would include returning adult sockeye.

11 So again given their widespread occurrence in
12 both inshore waters, offshore waters, and their
13 substantial abundance on the coast, then they
14 could indeed have some -- play some role in the
15 overall cumulative predation impacts on Fraser
16 River sockeye, and other species.

17 Q I'm going to ask Dr. Trites to answer that same
18 question briefly, but I'm going to ask, Mr. Lunn,
19 if you could pull up Tab 19, which I believe is
20 the Kathy Heise study that the witness was
21 referring to. And while you're doing that, what's
22 your perspective on that question?

23 DR. TRITES: I agree with the comments made about
24 diets. I think the one interesting thing with the
25 Pacific white-sided dolphins is how their
26 distribution appears to have shifted over the past
27 20 years. They were, if you look at probably --
28 about the only data we have available from the
29 cetacean sightings, not sure if it's called
30 network or database, maintained at the Vancouver
31 Aquarium, and those are reports that mariners have
32 given of when they've seen different species. And
33 looking prior to, what, about 2000, they were
34 commonly found on the offshore waters, and the
35 first time, for example, in the Strait of Georgia,
36 the first report in that database is 1994, and
37 then later 1999. but in the last ten years
38 they've been seen every single year, and they
39 started first more in seasonal, spring and fall,
40 then filling in the summer and over the past 12
41 months we now find them here year around.

42 And so that's been a big change in the
43 distribution, and it seems to be coast-wide that
44 they're now more in the inside waters. Whether
45 that has an impact on salmonids, I think time will
46 tell.

47 Q And, Dr. Ford, is the article that's -- or the

1 publication that's on the screen the Heise study
2 that you were referring to?

3 DR. FORD: Yes, it is.

4 MS. TESSARO: Could I have that marked as the next
5 exhibit, please.

6 THE REGISTRAR: Exhibit 788.

7
8 EXHIBIT 788: Heise, Diet and Feeding
9 Behaviour of Pacific White-Sided Dolphins
10 (*Lagenorhynchus obliquidens*) as Revealed
11 Through the Collection of Prey Fragments and
12 Stomach Content Analyses, 1997
13

14 MS. TESSARO:

15 Q And if we could just quickly turn to page 3 of
16 this paper -- or, sorry, PDF page 3, and in the
17 top corner there's a table. Tell me if I've
18 interpreted this right, Dr. Ford. When I look at
19 sockeye salmon, I see four samples. And you've
20 told us already that resident killer whales, you
21 found only four samples of sockeye in their diet.
22 I'm wondering if I've understood this correctly,
23 why only four instances of sockeye found as
24 Pacific white-sided dolphin prey would be
25 translated into an assessment that they may have
26 potentially significant predation impacts.

27 DR. FORD: Well, in the case of the four samples from
28 resident killer whales, this was in a much larger
29 sample of over 800 kills collected extensively on
30 the coast. I think what makes this more
31 compelling is that it's a small sample size of
32 only 63 kills, if you total up that column with a
33 number there, and so the four of 63 is
34 significant, I believe. And also you can see
35 there's greater number of pink salmon which are 11
36 in this case, 11 of 63 samples, several of those
37 fish were rather large. They were adult size, and
38 would put them in the same sort of range of
39 potential prey as sockeye salmon.

40 So I think what's important to keep in mind,
41 looking at the diet of these animals, is they're
42 very likely opportunistic predators, unlike the
43 resident killer whale, which seemed to be highly
44 specialized and ignore alternative prey species,
45 even when they're in great abundance like sockeye
46 salmon.

47 Far more likely is that Pacific white-sided

- 1 dolphins prey opportunistically on whatever
2 species is the highest availability and is most
3 profitable for them at the time and location that
4 they are found, or that they're present. And so
5 potentially, during the migratory phase, the great
6 pulsive abundance of sockeye salmon when they're
7 moving through the habitat of these dolphins, I
8 would imagine that they're very likely that the
9 sockeye would play a much more important role in
10 their diet at that time and location, so...
- 11 Q And one very narrow question for you, Dr. Trites,
12 unless there's something --
- 13 DR. TRITES: Can I just comment on that. I think it's
14 important to keep in mind that not all species of
15 salmon are likely to be equally accessible or
16 vulnerable. The species have evolved different
17 strategies to avoid being preyed upon. Some are
18 tight schools and faster, some may be more loose,
19 some like chinook may be more single, and it
20 probably takes a different strategy to capture the
21 different species. So we shouldn't just assume
22 that they're all equally vulnerable.
- 23 Q I'm wondering if your current graduate students
24 have found any sockeye salmon in their recent
25 fieldwork.
- 26 DR. TRITES: No.
- 27 Q Thanks. One very quick question about the Dall's
28 porpoise for the two of you before we turn to
29 pinnipeds. And the question is, given their
30 comparable abundance to Pacific white-sided
31 dolphins numerically, and given the very small
32 sample size of only 13 stomachs, why is it that -
33 tell me if I'm wrong again - you would rule out
34 Dall's porpoise while not ruling out Pacific
35 white-sided dolphin.
- 36 DR. TRITES: The abundance, the only abundance estimate
37 that we have is from that same study that I
38 referred to earlier that led to the abundance
39 estimate for Pacific white-sided dolphin of
40 25,000, and I believe that their estimate for
41 Dall's porpoise was substantially smaller, perhaps
42 around 5,000 animals coast-wide, and they are
43 distributed widely and in small groups. And in
44 Georgia Strait we've long wondered whether they
45 may target out-migrating smolts, for example,
46 because the kind of prey that Dall's porpoise
47 focus on are small fish. There's no evidence that

1 they take any fish as large as a returning adult.

2 So for Dall's porpoise it would really be
3 predation on the smolt phase, out-migrating smolts
4 that could be of any potential significance.

5 However, based on the records in the cetacean
6 sightings network and our own observations, we do
7 not see any influx of Dall's porpoise into areas
8 to coincide with the out-migration of sockeye
9 smolts from the Fraser River. There doesn't seem
10 to be any seasonal increase that would lead to any
11 significant mortality. And the stomach samples
12 that we've been able to examine from stranded
13 animals in the Strait of Georgia area have failed
14 to reveal any salmonids. Their prey is dominated
15 by herring and other small schooling fish, but not
16 salmonids.

17 Q And that's 13 samples.

18 DR. FORD: Pardon me?

19 Q How many samples of --

20 DR. FORD: Yeah, I believe it was 13. It's not a large
21 dataset, but it's what we have to work with.

22 Q Right. I'm sorry to rush along. I'm going to
23 rush along here. Final question on whales is, Dr.
24 Ford, did you have any substantive disagreements
25 with the Project 8 report submitted by Dr. Trites
26 and Dr. Christensen?

27 DR. FORD: My only substantive comment would be that I
28 think that the Pacific white-sided dolphin perhaps
29 potentially has a larger role in the suite of
30 predators that may have over the last 20 years
31 been impacting Fraser River sockeye and other
32 sockeye runs. So and that because of that
33 potential, I think that further research should --
34 on this particular species, diet, distribution,
35 abundance, should be included in the list of
36 recommendations from that (indiscernible -
37 overlapping speakers).

38 Q Thanks. You've been waiting very patiently, Mr.
39 Olesiuk. I'll ask you the same question. Do you
40 have any substantive disagreements with the
41 Project 8 report?

42 MR. OLESIUK: I agreed with the authors that pinnipeds
43 and marine mammals were very unlikely to be
44 responsible for, or played a significant role in
45 the anomalously low returns in 2009. As for the
46 general decline in productivity of Fraser River
47 sockeye, I thought that Steller sea lions should

1 have been on their list as a species that warrants
2 more attention.

3 Q I understand that you have also provided a table
4 where you've identified what you would
5 characterize as some data errors, is that...

6 MR. OLESIUK: Yeah, in going through the report, I paid
7 particular attention to the pinniped section.
8 That's my specialty, and there were quite a few
9 inaccuracies and omissions, and I felt compelled
10 to flag those just to set the record straight. I
11 provided a table, and I hope that by doing so, we
12 can move onto the more substantive issues dealt
13 with in that report.

14 MS. TESSARO: Let's do that, but let's mark that as the
15 next exhibit. That would be Tab 7 of the
16 Commission's list.

17 THE REGISTRAR: Exhibit 789.

18

19 EXHIBIT 789: Olesiuk, Comments on Pinniped
20 Information in Cohen Predator Report

21

22 MS. TESSARO:

23 Q Before we move on, this is a question for both Dr.
24 Trites and Mr. Olesiuk. For both of you, do any
25 of these proposed data corrections in Exhibit 789
26 have the effect of changing the report's overall
27 assessment of the potential impacts of individual
28 marine mammal species on Fraser River sockeye?
29 Are these corrections, or do they amend
30 potentially the report's conclusions?

31 MR. OLESIUK: No, they're corrections for the most
32 part. The only again substantive conclusion that
33 I didn't see eye to eye with were the Steller sea
34 lions and their potential role in the long-term
35 decline in productivity of sockeye. And in
36 fairness to the authors of the report, we recently
37 completed a study, and there's new information
38 that's available on the importance of salmon and
39 sockeye in the diet of Steller sea lions that
40 wasn't available when the authors wrote the
41 report.

42 Q Was that a frustration in writing the report of
43 the availability of information on pinnipeds?

44 DR. TRITES: It is, and we were aware of it because I'm
45 also a co-author on that report. But at the same
46 time it wasn't yet in a form that could be cited.
47 So there were certainly some documents that became

1 official, and we did not have access to it at the
2 time.

3 Q And happily we do have them now, and I'm going to
4 ask a couple of questions about seals and then
5 turn to that Steller sea lion issue. One
6 important question I think is in terms of
7 abundance. Can you explain to the Commissioner
8 the population trends in harbour seals over the
9 last 25 years.

10 MR. OLESIUK: Okay. Well, over the last -- actually
11 starting in about 1970 when seals were protected,
12 we saw quite a dramatic increase of populations
13 were growing at 12 percent, at which rate they
14 double in size every six or seven years, and that
15 growth continued to the '70s, '80s, and into the
16 early '90s, resulting in a tenfold increase in
17 harbour seal abundance. Since the mid/late-1990s
18 the population appears to have stabilized.

19 Now, you need to put that in perspective of
20 the longer-term historic trends. Harbour seals
21 were depleted by commercial harvest and predator
22 control programs, from the late 1800s all the way
23 through to the mid-1960s, and what we saw in the
24 '70s and '80s, those dramatic increases were
25 really the recovery of populations, and now the
26 population appears to have stabilized at is
27 roughly the same levels that we saw in the late
28 1800s before there were any large scale kills.

29 Q Moving from abundance to diet studies, we've
30 already heard that you did a number of diet
31 studies in the Strait of Georgia in the 1980s.
32 I'm wondering if you could please indicate the
33 results of those studies with respect to salmon,
34 percentage of salmon in harbour seals' diets, the
35 percentage of sockeye to the extent that's known,
36 and also the age of salmon that appear to be eaten
37 by harbour seals.

38 MR. OLESIUK: Yeah. The diet study indicated that the
39 main prey of harbour seals were hake and herring.
40 Salmon constituted a small part of the overall
41 diet, about four percent. Seals mainly consumed
42 adult-size fish, and predation was concentrated in
43 estuaries and river mouths in the lower parts of
44 rivers where seals congregated when salmon were
45 returning to spawn. And in those areas, salmon
46 could be a very important part of the diet. But
47 since there's relatively a small proportion of the

1 overall population in those estuaries and river
2 mouths, and they are only there for a portion of
3 the year, when you average it out, that's why
4 salmon are overall a small part of the diet.

5 As for species composition, this was based on
6 scat analysis, at that time we had no means of
7 accurately determining species of salmon. The
8 genetic techniques had not yet been developed. So
9 we were unable to directly assess species
10 composition. However, if you look at where and
11 when seals were preying on salmon, relative to
12 what the availability of various species of salmon
13 would have been in those areas and at those times,
14 they're feeding on all five species of Pacific
15 salmon, and I imagine that sockeye is a relatively
16 large fraction of what they take, especially in
17 areas like the Fraser River.

18 Q But you don't have data, that's a speculation on
19 that last point, that Fraser River -- that sockeye
20 you think may be a large portion, that work hasn't
21 been done to assess that. You don't have that
22 data.

23 MR. OLESIUK: No, we don't have that data, and I don't
24 think it actually will affect our general
25 conclusion that harbour seals were not a
26 significant factor. Even if they were feeding on
27 mainly sockeye, they still would not have consumed
28 enough to have a significant impact.

29 Q That's helpful clarification. The diet research
30 that you did is from the, as I understand it, mid-
31 1980s. It's for the Strait of Georgia. What
32 updates do you need on that research, both
33 temporally and geographically. What should be
34 done to update it?

35 MR. OLESIUK: Well, you have to understand that scat
36 analysis, especially for species like harbour
37 seal, is a fairly crude tool. I think it's useful
38 for looking at broad scale patterns and
39 identifying key prey species. But it lacks, it's
40 difficult to collect large numbers of seal scats,
41 unlike sea lion scats, and even if you were to
42 apply genetic analysis I think it would just give
43 you a general crude overview of the diet.

44 What we have done after that general diet
45 studies in the '90s, we spent considerable effort
46 in particular estuaries where we had identified
47 salmon to be a major part of the diet, going in

1 there, doing vary detailed observations, tagging
2 animals and tracking their movements, doing
3 surface observations, looking at where and when
4 they were feeding on salmon, collecting scales to
5 identify species composition. So that is a more,
6 I think, useful tool once you identify sort of
7 areas that you want to focus detailed studies.

8 Q Has there been a detailed study in the Fraser
9 River estuary?

10 MR. OLESIUK: No.

11 MS. TESSARO: I apologize, Mr. Commissioner, I'm about
12 15 minutes behind my estimate, so we'll just make
13 use of the next six minutes and hopefully I can
14 wrap up after the break.

15 Q In the same vein of looking at abundance and diet,
16 and turning to Steller sea lions, what's your best
17 abundance estimate, Mr. Olesiuk, for Steller sea
18 lions currently in British Columbian waters?

19 MR. OLESIUK: It varies from about 32,000 during the
20 summer breeding season, to 48,000 during the
21 winter non-breeding season.

22 Q And are you able to -- I'll move on from that
23 question, actually, your answer is really clear.
24 You have recently, with your co-author, and other
25 co-authors released an in-press on Stellar sea
26 lion diet.

27 MR. OLESIUK: Correct.

28 Q And I believe that's at Tab 21 of our materials.
29 Is this the report that you've been working on
30 recently?

31 MR. OLESIUK: It is.

32 Q And is it finalized? Will it go through any more
33 substantive changes?

34 MR. OLESIUK: It has gone through our internal peer
35 review process, and there were some minor
36 revisions will be made and have been made, none of
37 which will affect the substantive conclusions.

38 MS. TESSARO: Could we please have this marked as the
39 next exhibit.

40 THE REGISTRAR: Exhibit number 790.

41
42 EXHIBIT 790: Olesiuk et al, Prey
43 requirements and salmon consumption by
44 Steller Sea Lions (*Eumetopias jubatus*) in
45 southern British Columbia and Washington
46 State, CSAS Research Document, Draft
47

1 MS. TESSARO:

2 Q Perhaps, Mr. Olesiuk, rather than go through the
3 report page-by-page, I know this is a significant
4 amount of work that you've put into this, and I
5 don't want to diminish that, but perhaps you could
6 just give us an overall description of the
7 approach you took on the report and the main
8 components of the study, the things that you
9 looked at. What does this study look at?

10 MR. OLESIUK: Okay. Well, this was really the first
11 major study to look at the importance of salmon in
12 the diet of Steller sea lions. The study or the
13 project was funded by the Pacific Salmon
14 Commission through their Southern Endowment Fund.

15 Our study area was southern B.C., and
16 Washington State, so from Cape Caution on the
17 Central Coast to the Columbia River. And what we
18 did is we integrated information on our abundance
19 estimates for Steller sea lions, their seasonal
20 distribution, their activity patterns, based on
21 satellite telemetry, and diet analysis based on
22 scat collections and DNA analysis of the species
23 of salmon, and integrated all that into coming up
24 with estimates of the importance of salmon in the
25 overall diet.

26 Q And what is that estimate, what were your results?

27 MR. OLESIUK: It's just under 11 percent of the overall
28 diet is made up of salmon.

29 Q And how confident are you in those results. Is
30 that with absolute certainty, is that a...

31 MR. OLESIUK: It's a scientifically defensible
32 estimate. There are fairly wide CVs, coefficients
33 of variation, associated with the estimate,
34 probably on the order of about 35 percent. But
35 considering all of the components that go into
36 that estimate and the sources, cumulative sources
37 of variability, it is, I think, a relatively
38 defensible estimate.

39 Q And what is the estimate of the amount of sockeye
40 within that 11 percent?

41 MR. OLESIUK: Well, we've only been able to so far
42 analyze one-third of the scat samples that contain
43 salmon. And so based on those preliminary
44 results, again Steller sea lions are generalists.
45 They feed on all five species of Pacific salmon,
46 as well as steelhead, and sockeye made up at least
47 five percent of the salmon that have been

1 identified so far. And there were another, some
2 of the samples were ambiguous. We can only, based
3 on the DNA results to date, narrow it down to one
4 of two species of salmon, and a lot of those could
5 have been either pink or sockeye. And so there
6 was another 15 percent that were either pink or
7 sockeye.

8 So until we resolve those ambiguities, and I
9 think that we will with further testing, but right
10 now it's five to 20 percent potentially of the
11 salmon identified were sockeye.

12 Q And why were you only able to analyze one-third of
13 the samples?

14 MR. OLESIUK: Just due to the amount of funding that
15 was available. We actually, for this study,
16 obtained far more scat samples that we had
17 originally planned. All kinds of other
18 researchers, including Andrew Trites, contributed
19 samples that they had collected. That was great
20 and provided bigger sample sizes, but we only had
21 the funding to do a third of the DNA analysis.

22 Q And have you submitted any application to DFO
23 requesting funding to assess the remaining two-
24 thirds of those samples?

25 MR. OLESIUK: I have.

26 Q And what's been the result of that funding
27 application?

28 MR. OLESIUK: The proposal has been well-received, but
29 so far we haven't identified a source of funding.
30 This year, we're just entering a new fiscal year,
31 there's some uncertainty with the political
32 situation, but our request for funding will be
33 considered amongst division priorities and fiscal
34 restraint.

35 THE COMMISSIONER: Ms. Tessaro, I note the time.

36 MS. TESSARO: Yes. And thanks to Mr. Olesiuk's
37 succinctness, I will be able to finish in 15
38 minutes.

39 THE REGISTRAR: The hearing is now adjourned until 2:00
40 p.m.

41
42 (PROCEEDINGS ADJOURNED FOR NOON RECESS)
43 (PROCEEDINGS RECONVENED)
44

45 THE REGISTRAR: The hearing is now resumed.
46
47

1 EXAMINATION IN CHIEF BY MS. TESSARO, continuing:
2

3 Q Panellists, I just have a few more fairly
4 scattergun questions around a variety of what I'll
5 characterize as management issues for you. The
6 first question is for Mr. Olesiuk. We heard this
7 morning about resident killer whales and chinook
8 interactions increasingly being managed in this
9 more integrated way and I'm wondering if there are
10 any comparable examples of that for that more
11 integrated management for pinnipeds and salmon?

12 MR. OLESIUK: Well, I think, in general, that pinniped
13 populations have recovered and their consumption
14 of salmon has increased and especially for a
15 species like Steller sea lion, who is now taking
16 as much salmon as a commercial fishery, that they
17 need to be factored into these management plans.
18 I don't think it's exactly the same as killer
19 whales. Killer whales are different in that
20 salmon are the mainstay, the principal prey.
21 There's an indication that their productivity is
22 directly correlated with salmon abundance.

23 For pinnipeds, their diets tend to be more
24 diverse. Salmon tends to be a relatively small
25 part of their diet, and I don't think salmon are
26 what dictate pinniped population levels.

27 Q Just to follow up on the one thing you just said,
28 you said that Steller sea lions are taking the
29 equivalent of the commercial fishery. Could you
30 be a little bit more specific in which commercial
31 fishery you're talking about and --

32 MR. OLESIUK: Yeah, that was based on the study that we
33 were discussing this morning, and we estimated
34 total consumption of salmon by Steller sea lions
35 in our study area, from Cape Caution to Columbia
36 River, was about 17,000 tonnes and the commercial
37 fishery in that same area, the total salmon
38 commercial fishery takes about 18,000 tonnes a
39 year.

40 Q Thanks for that. Turning to fisheries management
41 for a moment, and I'll ask you this, as well, Mr.
42 Olesiuk, are you aware of harbour seals having any
43 adverse impact on Fraser River sockeye test
44 fisheries?

45 MR. OLESIUK: They're certainly a nuisance. They
46 remove sockeye from the test gillnets. It's a
47 problem we've seen in other systems, like the

1 Skeena River, and I think it interferes with their
2 ability to enumerate the number of salmon that are
3 moving upriver, but it's sort of a -- it's
4 interference and nuisance, rather than sort of a
5 conservation concern.

6 Q And I'll ask Dr. Trites this and then you, what's
7 the solution? Do you, as a marine mammal
8 scientist, have any insight into potential
9 mitigation measures or solutions to help mitigate
10 the impact on Fraser River test fisheries of
11 depredation by seals?

12 DR. TRITES: Well, the depredation problem has been an
13 issue because, you know, the problem comes down to
14 that if a seal is removing fish out of the nets
15 and it's not documented, you're assuming,
16 therefore, there was fewer fish coming back into
17 the river. And so that has a bearing in terms of
18 setting quotas and catch levels.

19 I think different people try different things
20 trying to reduce that effect, and the most recent
21 one that I'm aware of was trying to electrify part
22 of the netting. And the authors of a paper which
23 was published a couple of years, of that
24 electrifying that portion of the net had a big
25 effect and they concluded from that that the seals
26 had been removing a lot of fish from the test
27 fishery nets. So I guess, you know, long-term,
28 it's going to be a question of trying to calibrate
29 that and maybe make some corrections for it, but
30 I'm not aware that that kind of research is
31 continuing, but I know it's been an issue for the
32 test fisheries and probably will be for a long
33 time to come.

34 Q Mr. Olesiuk, are you aware if those efforts with
35 the electrified net are ongoing or --

36 MR. OLESIUK: Yeah, and I think that they were pleased
37 with the effect of the electrifying net and they
38 had moved to sort of implementation as a routine
39 part of their test fishery. And they have applied
40 for licences to continue that work, and I think
41 those licences have been issued.

42 Q Are there any concerns, conservation concerns for
43 species other than the seals from using
44 electrified nets? From the perspective of
45 thinking through Fraser River sockeye
46 sustainability, are there concerns about using
47 electrified fishing equipment in the Fraser River?

1 MR. OLESIUK: Well, not in the way it's being used.
2 The way these electrical fields work is they
3 dissipate very rapidly from the source, and that's
4 actually what limits their effectiveness. So they
5 may be effective for, you know, protecting a point
6 source like a gillnet, but when we experimented
7 with electrified barriers in rivers to prevent
8 seals from moving upriver, they were not effective
9 just because the electrical gradient dissipated so
10 rapidly that it was so strong that at the bottom,
11 where the electrodes were, it would prevent the
12 passage of fish, and so near the surface of the
13 seals' pass, unaffected.

14 Q And maybe this is a good segue into other
15 mitigation measures. It's a bit of a euphemism,
16 perhaps, but Dr. Ford, could you comment on
17 whether predator control programs for marine
18 mammals are an effective and appropriate tool for
19 promoting salmon sustainability?

20 DR. FORD: That was certainly in the history of our
21 society's management of marine mammals. This
22 included culling programs in the past. These
23 ended about 40 years ago on this coast and as a
24 result, marine mammal populations have come back.
25 I think now we're just in the process, as these
26 populations are re-establishing their historical
27 abundance, of evaluating the role of marine
28 mammals and their predation in the management of
29 fisheries. I believe that as we move more and
30 more towards ecosystem-based management, those
31 kinds of historical techniques for management are
32 becoming less and less appropriate.

33 Q Does anyone have a different view than that on
34 this panel?

35 DR. TRITES: Maybe only to point out that, you know,
36 culling has been attempted not just in British
37 Columbia, in Alaska, it's been used in the Baltic
38 Sea, in the Adriatic Sea, in South Africa, and one
39 of the problems is people have a simple
40 perception, thinking that, again, it's just this
41 two-way relationship, remove that predator and the
42 prey will respond. But I'm not aware of any that
43 have tried to evaluate that at the same time.
44 When people looked at it retrospectively, you
45 know, for example, if you look at River's Inlet
46 where two sea lion rookeries were wiped out,
47 they're extinct, and that was to ensure greater

- 1 catches of sockeye salmon at River's Inlet.
2 To my knowledge, those catches never
3 increased and the sockeye are severely low now.
4 So any case I know of where culling was attempted,
5 there's no evidence that it ever had the desired
6 effect.
- 7 Q Mr. Olesiuk, you heard this morning about the
8 theory that seals might have a "net positive
9 impact" on sockeye salmon, and my question is if
10 seals are removed, could one potentially increase
11 predation on sockeye by fish like hake? What do
12 you think of that theory?
- 13 MR. OLESIUK: I think that I agree with the concept
14 that these are complex food webs and that removing
15 one predator may have unpredictable effects. As
16 part of the Strait of Georgia Ecosystem Research
17 Initiative, we've been looking at those effects in
18 the Strait of Georgia and how the recovery of
19 seals has interplayed with the hake and herring,
20 they were two principal prey. And it appears that
21 seals have displaced hake now as a major fish
22 predator in the Strait of Georgia and we see less
23 predation by hake on small, juvenile herring, and
24 even juvenile hake, but I don't think that hake in
25 the Strait of Georgia are main predators on the
26 salmon or sockeye.
- 27 Q And I think we're going to hear more about that
28 topic in tomorrow's panel so I'm going to move
29 along. A few questions on funding to conclude.
- 30 MS. TESSARO: If I could ask that Tab 22 of our
31 documents be pulled up?
- 32 Q We've already heard from Dr. Ford about your
33 source of funding primarily through the SARA
34 program. Mr. Olesiuk, I'm wondering how many
35 staff are covered, permanent staff are covered by
36 your budget?
- 37 MR. OLESIUK: That would be one, myself.
- 38 Q And that would be you. So how many staff work in
39 DFO Pacific Region on pinnipeds?
- 40 MR. OLESIUK: Specifically, on pinnipeds, would be
41 myself, in Science. We have a marine mammal
42 coordinator who is a pinniped expert that works on
43 management issues.
- 44 Q Right. I'm going to turn to your budget in one
45 moment, but I have a document here on the screen,
46 I'm just going to ask you, Dr. Ford, to identify
47 what this is.

1 DR. FORD: This is a summary of the annual budgets in
2 my group's -- the Cetaceans Research Program,
3 which includes sea otters, but not pinnipeds, over
4 the last six years.

5 MS. TESSARO: Could I have this be marked as the next
6 exhibit, please?

7 THE REGISTRAR: Exhibit 791.

8

9 EXHIBIT 791: Funding Summary - **SARA** Cetacean
10 Program

11

12 MS. TESSARO: And Mr. Lunn, if we could turn to the
13 second part of Tab 22?

14 Q Likewise, Mr. Olesiuk, are you able to identify
15 this document?

16 MR. OLESIUK: I am.

17 Q And could you describe what it is?

18 MR. OLESIUK: Well, this is part of a spreadsheet that
19 I've provided outlining the pinniped funding to my
20 program over the last five years.

21 Q And the second page, is that the rest of the
22 spreadsheet?

23 MR. OLESIUK: Yes, I presume so. I haven't seen the
24 second page.

25 MS. TESSARO: If we could just turn to page 2?

26 Q Is that --

27 MR. OLESIUK: Yes.

28 Q That's the remainder of the spreadsheet?

29 MR. OLESIUK: Yes.

30 Q And just so we're clear, this budget reflects only
31 the work of one pinniped scientist?

32 MR. OLESIUK: Correct.

33 Q I'd like to get one more document on the record
34 regarding the cost of pinniped research, and that
35 is Tab 23.

36 MS. TESSARO: Oh, I'm sorry, I should mark this
37 document as the next exhibit.

38 THE REGISTRAR: Exhibit 792.

39

40 EXHIBIT 792: Five-year funding summary for
41 pinniped research at DFO Pacific

42

43 MS. TESSARO:

44 Q Mr. Olesiuk, this appears to be an email that you
45 sent to a DFO official. Can you describe what
46 this email addresses?

47 MR. OLESIUK: This was an email that we were asked, in

1 conjunction with sort of the Cohen Inquiry, to put
2 together proposals, sort of a low level, moderate
3 level and high level of funding that could address
4 some of the hypotheses and one of them being
5 predators, and this addresses pinniped predation
6 on Fraser River sockeye and the types of research
7 that we would propose to do.

8 Q And that type of research, is that what is found
9 at page 2 of this documents and onwards?

10 MR. OLESIUK: Yes.

11 Q So this was a document you authored?

12 MR. OLESIUK: Yes.

13 Q And you're providing it to DFO managers as an
14 estimate of the cost of the research that would be
15 required to test those Fraser River sockeye
16 hypotheses?

17 MR. OLESIUK: Correct. It was prepared for Science
18 managers.

19 Q Thanks.

20 MS. TESSARO: Could we please mark this as the next
21 exhibit?

22 THE REGISTRAR: Exhibit 793.

23
24 EXHIBIT 793: Fraser River Sockeye Proposal -
25 Pinniped Predation
26

27 MS. TESSARO:

28 Q And my final question is for both Mr. Olesiuk and
29 Dr. Ford, and we've heard from both of you about
30 the need to study two particular species if the
31 concern is Fraser River sockeye. From Mr.
32 Olesiuk, we heard about the importance of Steller
33 sea lions, and from Dr. Ford, I believe you
34 indicated the need to study Pacific white-sided
35 dolphins. My question is is your recommendation
36 to study those species, does that potentially,
37 from your perspective as marine mammal scientists
38 at DFO, does that potentially detract from more
39 pressing marine mammal research priorities? Is
40 that objectively a priority or is it only a
41 priority in the context of Fraser River sockeye
42 sustainability? Does that question make sense?

43 DR. FORD: In terms of the main mandate of our group,
44 which is to better understand and promote the
45 recovery of species listed under the **Species At**
46 **Risk Act**, those studies would not be deemed a
47 priority, however, in terms of the role of Pacific

1 white-sided dolphins in the coastal marine
2 ecosystem and their role, their abundance, their
3 predation pressure on not just Fraser River
4 sockeye, but other species, I would place them at
5 a high priority in terms of the need to improve
6 our understanding of that particular species.

7 Q Thank you. And Mr. Olesiuk?

8 MR. OLESIUK: As I mentioned, there are actually
9 several levels of research. For seals, here, the
10 minimum research effort is very focussed
11 specifically on looking at seal predation on
12 Fraser River sockeye, and we would obtain
13 information on that and basically that and nothing
14 else. If you look, though, at some of the
15 moderate and the extensive research efforts, they
16 would actually provide broader information on
17 overall diets of seals, in addition to information
18 on Fraser River sockeye.

19 MS. TESSARO: I have stretched my 15 minutes to 18
20 minutes and so I'll leave for Canada to ask the
21 key questions of you that I have undoubtedly
22 missed, but thank you very much for your
23 testimony. That's all my questions.

24 MR. TIMBERG: For the record, Tim Timberg for Canada,
25 and with me is my colleague, Geneva Grande-McNeil.
26 I've estimated, approximately, one hour, Mr.
27 Commissioner, and I've got a series of questions
28 for the panel, and I'll identify you as I go
29 through. The first question is a housekeeping
30 matter, Mr. Registrar, and I'm wondering if you
31 could pull up from Canada's list of documents,
32 Tab 2?

33

34 CROSS-EXAMINATION BY MR. TIMBERG:

35

36 Q And this document is a collection from the Pacific
37 Salmon Commission meeting workshop last June 2010,
38 and this is an appendix that forms part of the
39 record.

40 MR. TIMBERG: And so I've spoken to Commission counsel
41 and we're suggesting that this be marked as
42 Exhibit 573A so that it will be linked to the
43 other document, 573.

44 Q And I'd just ask, perhaps, Dr. Ford, if he could
45 identify this document for us.

46 DR. FORD: This would be an appendix of the report that
47 resulted from the Pacific Salmon Commission-

1 sponsored workshop from June 2010, Peterman et al.

2 Q Okay. Thank you.

3 THE REGISTRAR: So it will be so marked as Exhibit
4 573A.

5 MR. TIMBERG: Thank you.

6

7 EXHIBIT 573A: Appendix C of Pacific Salmon
8 Commission workshop report June 2010,
9 Peterman et al

10

11 MR. TIMBERG: And if we could have Exhibit 73 brought
12 up, please?

13 Q And Dr. Ford, this morning in examination from
14 Commission counsel, you were brought to a section
15 of this report and you were asked some questions
16 about the content of that report. So my question
17 is did you have an opportunity to review this
18 report before it was finalized?

19 DR. FORD: No, I did not.

20 Q And who are the authors of this report?

21 DR. FORD: I believe the authors were a panel of
22 experts that is listed on the title page, here,
23 but specifically what each person's role was in
24 the production of the report, I don't know, but I
25 believe this was the group that synthesized the
26 various presentations at this workshop over the
27 three days and resulted in the conclusions that
28 were discussed this morning.

29 MR. TIMBERG: Okay. Thank you. And Mr. Registrar, if
30 we could then have Canada's list of documents at
31 Tab 13? Oh, it's Commission's list of documents,
32 Tab 13. I apologize.

33 Q And so Dr. Ford, this is the paper that you
34 presented at the Pacific Salmon Commission
35 workshop in 2010?

36 DR. FORD: It is.

37 MR. TIMBERG: And if this could be marked as the next
38 exhibit.

39 THE REGISTRAR: Exhibit --

40 MS. TESSARO: I believe it's been marked as an exhibit
41 already. No?

42 MR. TIMBERG: No. Was it? You raised it, but you
43 didn't get it marked this morning.

44 THE REGISTRAR: It will be Exhibit 794.

45

46

1 EXHIBIT 794: Hypothesis: Predation by marine
2 mammals is an important contributor to the
3 Fraser Sockeye situation (presented at
4 Pacific Salmon Commission workshop 2010)
5

6 MR. TIMBERG:

7 Q So for the assistance of the Commissioner, could
8 you perhaps just provide a bit of an overview of
9 your understanding of why that 2010 workshop on
10 the causes of decline of Fraser River sockeye
11 salmon was held?

12 DR. FORD: It was a workshop which brought together
13 experts, technical specialists in various
14 different fields to explore and evaluate the
15 various different potential factors that could be
16 implicated in causing or contributing to the
17 decline of Fraser River sockeye, both in the long
18 term and in the event in the 2009. And there were
19 a number of hypotheses that were addressed,
20 including such things as oceanographic conditions
21 and their influence, contaminant levels,
22 pathogens, harmful algal toxic blooms and
23 predation was one of these hypotheses.

24 Q All right. And so this is your paper, here. And
25 I understand that when you made your presentation,
26 you discussed seven marine mammals of 31 species
27 that are known to exist in British Columbia; is
28 that a fair summary?

29 DR. FORD: Correct.

30 Q And can you explain for the Commissioner why you
31 focussed on seven marine mammals?

32 DR. FORD: Well, these seven species of marine mammals
33 are those that are either known to prey on salmon
34 or could be considered to be potentially
35 significant salmon predators based on their
36 spatial distribution, their relative abundance and
37 it does not include many species of cetaceans, for
38 example, that live in deep water oceanic habitats
39 that feed exclusively on squid and these kinds of
40 things. So it's really just narrowed down to the
41 species that were known or suspected, with good
42 reason, to potentially prey on sockeye salmon.

43 Q And I'm not sure if you need this exhibit to
44 assist you, but what are the seven species that
45 you focussed on?

46 DR. FORD: Well, the cetaceans were killer whales,
47 Dall's porpoise, Pacific white-sided dolphins, and

1 then there were pinnipeds, the Steller sea lion,
2 California sea lion, harbour seal and Northern fur
3 seal. I believe those were the seven.
4 Q Okay. Thank you.
5 MR. TIMBERG: And perhaps we could just turn to page 43
6 of this document, here, "Conclusion."
7 Q And so this overall conclusion is consistent, I
8 think, with what you commented on this morning.
9 And perhaps you can just talk about the concerns
10 about lack of data, and then over the page, you
11 have a recommendation for further research needs.
12 So this summarizes what you think would be of
13 benefit to pursue the studies to understand these
14 issues better?
15 DR. FORD: Yes. Well, the overall conclusion from a
16 citation perspective was that the Pacific white-
17 sided dolphin is poorly known in terms of its
18 overall abundance, its seasonal distribution, its
19 seasonal diet, and it was impossible to really
20 assess its potential role in sockeye predation
21 generally, and so that was a recommendation that
22 should be a data gap that would warrant some
23 attention.
24 And then for the Steller sea lions,
25 certainly, it's the species, this already has been
26 discussed --
27 Q Right.
28 DR. FORD: -- that was of the highest concern in terms
29 of its potential role in salmonoid predation.
30 Q All right. Thank you. And then I understand
31 there's been subsequent follow-up to this meeting
32 from June of 2010 at a DFO workshop held April
33 14th and 15th.
34 MR. TIMBERG: If we could have from Canada's list of
35 documents Tab 46, please, Mr. Registrar?
36 Q And Mr. Olesiuk, were you at this workshop, DFO
37 synthesis workshop on the decline of Fraser River
38 sockeye?
39 MR. OLESIUK: Yes.
40 Q And this is the outline?
41 MR. OLESIUK: Correct.
42 MR. TIMBERG: If we could have this marked as the next
43 exhibit, please.
44 THE REGISTRAR: Exhibit 795.
45
46 EXHIBIT 795: DFO Synthesis workshop on the
47 decline of the Fraser River Sockeye

1 MR. TIMBERG:

2 Q And just generally, can you comment on your
3 understanding of why this workshop was held on
4 April 14th, 15th?

5 MR. OLESIUK: This was the -- there had been a series
6 of meetings and workshops and this one was to
7 bring the people that had been considering these
8 various hypotheses together to begin to synthesize
9 the results.

10 Q All right. And was that primarily a DFO Science
11 meeting?

12 MR. OLESIUK: Yes.

13 Q Okay.

14 MR. TIMBERG: And then if we could have Canada's list
15 of document, Tab 24? And Mr. Commissioner, as an
16 aside, we're working to get all of the materials
17 from that workshop prepared to be brought before
18 you at some point.

19 THE COMMISSIONER: Are you marking this last one?

20 MR. TIMBERG: Yes, I think I've marked the last agenda,
21 but there are supportive materials --

22 THE COMMISSIONER: Oh, I see.

23 MR. TIMBERG: -- that we are seeking to bring forward.

24 THE COMMISSIONER: Thank you.

25 MR. TIMBERG:

26 Q And Mr. Olesiuk, could you please identify this
27 document?

28 MR. OLESIUK: So this was an abbreviated version of the
29 presentation that John had given to the PSC
30 workshop that I gave to this April Science
31 workshop.

32 MR. TIMBERG: All right. And so if we could have this
33 marked as the next exhibit, please?

34 THE REGISTRAR: 796.

35

36 EXHIBIT 796: Abbreviated version of Exhibit
37 794

38

39 MR. TIMBERG:

40 Q And did this presentation analyze the same seven
41 species as the Pacific Salmon Workshop in 2010?

42 MR. OLESIUK: No, it considered only four species, sort
43 of the killer whales and harbour seals.

44 Q Mm-hmm?

45 MR. OLESIUK: And the reason we included those is that
46 they are widely perceived to be important salmon
47 predators and we wanted to explain why we didn't

- 1 think that they were playing a significant role in
2 the decline of Fraser River sockeye. And then the
3 other two were the Pacific white-sided dolphin and
4 Steller sea lions, which we do think warrant
5 further consideration.
- 6 Q All right. And I think we've covered that
7 sufficiently already so I won't belabour that
8 point.
- 9 MR. TIMBERG: If we could perhaps move to slide 27 of
10 this document? Okay. I'm looking for slide 27.
- 11 Q Yeah, so this sheet, does that tell us what
12 proportion of salmon that is eaten are sockeye?
13 Is that what this tells us?
- 14 MR. OLESIUK: What it tells us is what proportion of
15 the samples that have been analyzed to date have
16 been identified as either being various species of
17 salmon. And in red, there, I've indicated the
18 ones that are sockeye or the ambiguous samples
19 that could have been sockeye or pink.
- 20 Q Right, and this is going back to the Steller sea
21 lions, that's correct?
- 22 MR. OLESIUK: Correct.
- 23 MR. TIMBERG: Okay. Thank you. And if we could move
24 to slide 29.
- 25 Q And this is your conclusion with respect to the
26 impact of Steller sea lions with respect to
27 sockeye salmon returns?
- 28 MR. OLESIUK: Yes.
- 29 Q And if we could look at the next slide, 30, and
30 what does this chart tell us with respect to
31 sockeye salmon predation by marine mammals in
32 British Columbia?
- 33 MR. OLESIUK: Well, this was a preliminary attempt to
34 try to put things in perspective as to the
35 relative significance and importance of various
36 salmon predators, specifically, the four that had
37 been addressed in this presentation. And so I
38 have summarized the best abundance estimates we
39 have, what the trend in abundance has been, what
40 the approximate daily prey requirements would be,
41 and then based on the abundance and daily prey
42 requirements, what the total angle consumption of
43 all prey would be by these species, and then based
44 on the diet studies that had been done, some of
45 them are outdated, some of them are in local
46 areas, but what percentage of salmon were found in
47 those studies, and then just a comment on whether

1 of those salmon, whether they include sockeye.

2 Q All right. Thank you. Now, I'd like to move onto
3 a new theme of questioning with respect to
4 predator culls and listed marine mammals and so
5 Mr. Olesiuk, can you advise us whether Steller sea
6 lions are listed under the **Species at Risk Act**?

7 MR. OLESIUK: They're listed as a species of special
8 concern.

9 Q And what does a species of special concern mean?

10 MS. TESSARO: I'm just going to observe that that is a
11 defined term in the statute so perhaps Mr. Timberg
12 could be clear as to whether he's eliciting that
13 the statutory definition of species of special
14 concern, or some kind of interpretation of that?

15 MR. TIMBERG:

16 Q No, well, the question is what does it mean for a
17 species to be of special concern? What does it
18 mean for it to have that status?

19 MR. OLESIUK: Well, okay. Well, the implications of it
20 being listed are that we are required to develop a
21 management plan.

22 Q Okay. And do you know why they've been listed?

23 MR. OLESIUK: Well, the general concept, and this, I
24 think, fits pretty closely with the definition, is
25 that a species of special concern is a species
26 because of a combination of its biological
27 characteristics and identified threats, is a
28 species that could become threatened or
29 endangered.

30 Q Okay. And when was the Stellers listed?

31 MR. OLESIUK: In 2003.

32 Q All right.

33 MR. TIMBERG: And if we could then, Mr. Registrar, have
34 from Canada's list of documents, Tab 56?

35 Q And I understand this is the Steller Sea Lion
36 Management Plan. Can you identify this?

37 MR. OLESIUK: This is the management plan that has
38 recently been finalized.

39 Q And when was that finalized?

40 MR. OLESIUK: In January of 2011.

41 Q Okay.

42 MR. TIMBERG: If that could be marked as the next
43 exhibit, please.

44 THE REGISTRAR: Exhibit 797.

45

46

47

1 EXHIBIT 797: **Species at Risk Act** -
2 Management Plan Series - Management Plan for
3 the Steller Sea Lion
4

5 MS. GAERTNER: Mr. Commissioner, this exhibit, I'm not
6 going to object to it going in, but I do want to
7 put on the record that we were provided this
8 exhibit last night. It's about 80 pages long. I
9 have not had a chance to review it and I am going
10 to try to do that this evening, if there's any
11 questions of this panel. If we're finished with
12 this panel, I may have some follow-up in writing,
13 but I'm not quite sure why we got this so late,
14 since this is a January document of the
15 Department's.

16 MR. TIMBERG: I'll proceed, Mr. Commissioner, with
17 using this document. I'm not certain why we have
18 the late notice. I apologize for that.

19 Q Can you tell us, Mr. Olesiuk, does the plan
20 conclude that availability of prey species will be
21 an issue for Stellers going forward?

22 MR. OLESIUK: It recognizes it as, I think, a moderate
23 threat, potentially high.

24 Q All right. And perhaps we could turn to page 28
25 of the pdf, or page 17 of the document. And is
26 this the table, here, that refers to that?

27 MR. OLESIUK: Correct.

28 Q So this is the top table. If you could just
29 explain how we're to understand this table, Mr.
30 Olesiuk?

31 MR. OLESIUK: Well, this went through in trying to
32 identify what the threats are to Steller sea lions
33 that might cause them to decline to the point
34 where they would be considered threatened or
35 endangered. And so for each, we had a workshop
36 where we invited sea lion experts from various
37 groups and countries and identified what we
38 thought were the threats, which age classes of
39 animals would be potentially affected, what would
40 be affected, what the actual threat would be, the
41 severity of the potential population impact, how
42 certain we were about the threat, and the current
43 level of concern. In some cases, there had been
44 historic threats that had been since mitigated,
45 and then the potential for mitigating of these
46 various threats.

47 Q Okay. And does that plan consider harvest

1 management of fish species that Stellers rely
2 upon?
3 MR. OLESIUK: It recognizes that there is a significant
4 overlap in their diet and that fish abundance is
5 likely to be a limiting factor and potential
6 threat for Steller sea lions and that anything
7 that affects fish abundance could affect Steller
8 sea lions.
9 Q All right.
10 MR. TIMBERG: And if we could turn to page 36 of the
11 document, or 47 of the pdf?
12 Q And item section 2.3.2. Is this the section,
13 then, that speaks to the management of fish
14 resources and fisheries that overlap with the diet
15 of Steller sea lions?
16 MR. OLESIUK: Yes. Now, this section of the document
17 summarizes the various actions by Science, by
18 Management, so forth, that would be taken to
19 either research or mitigate these threats. And
20 the first one under "Management" is to continue to
21 manage fishery resources and fisheries where they
22 overlap a Steller sea lion diet.
23 Q Okay.
24 MR. OLESIUK: And they consider the dietary needs when
25 changes are made to the fishery's management
26 regimes.
27 Q Okay. So this is similar to some of the work that
28 was raised earlier this morning about the
29 management of killer whales and their dietary
30 needs for chinook salmon?
31 MR. OLESIUK: Yes.
32 MR. TIMBERG: If we could then turn to page 37 of the
33 document at page 48 of the pdf.
34 Q So does the plan consider future research
35 requirements?
36 MR. OLESIUK: It does.
37 Q And that's the section there, 2.3.3?
38 MR. OLESIUK: Yes.
39 Q And perhaps you could summarize what the future
40 research requirements are.
41 MR. OLESIUK: Well, there's a whole series of them. I
42 think the one that's probably most relevant to the
43 discussion here today is the need to obtain better
44 information on the diet of Steller sea lions,
45 particularly outside the breeding season, during
46 the winter, fall, spring.
47 Q All right. And are there harvest controls on

1 Stellers in place?

2 MR. OLESIUK: Yes.

3 Q And can you explain for the Commissioner what a
4 nuisance licence is?

5 MR. OLESIUK: It's a licence that's issued under the
6 **Marine Mammal Regulations**, or now the **Agriculture**
7 **Regulations** that allows for the removal of
8 nuisance seals. There's two categories, one are
9 seals that are deemed to be a conservation threat
10 to anadromous fish like salmon along their
11 migration route through rivers and estuaries, and
12 the second category are seals that are interfering
13 with fishing operations. Fishing operations
14 include gillnets, hatcheries, test fisheries,
15 counting fences, so forth.

16 Q All right. And does a nuisance licence allow you
17 to kill Steller sea lions?

18 MR. OLESIUK: No. Well, with the listing in 2003,
19 Steller sea lions were removed so now the nuisance
20 seal licence only covered California sea lions and
21 harbour seals.

22 Q Okay. Thank you.

23 MR. TIMBERG: If we could then move to Exhibit 445,
24 please. That's Canada's list of documents, Tab
25 17. And if we could then move to the bottom of
26 page 20. And first, just for the assistance of
27 the Commissioner, this is the last year's IFMP for
28 the southern salmon area.

29 Q And at the bottom of page 20 of last year's IFMP,
30 it reads that:

31
32 DFO is currently developing **SARA** management
33 plans for four marine mammals listed as
34 special concern, offshore killer whale,
35 harbour porpoise, grey whale and Steller sea
36 lion. These plans, which will be posted on
37 the **SARA** registry for public comment in 2010,
38 describe species, biology, distribution and
39 threats, as well as recommending potential
40 actions to protect these species and mitigate
41 impacts from key threats. Several key
42 threats to these species include oil spills,
43 chemical pollution, acute noise, stress,
44 reduced prey availability, habitat
45 degradation and fishing gear entanglement.

46
47 So my question for Mr. Olesiuk is who at DFO can

- 1 speak to whether or how the Steller sea lion
2 management plan objectives will be taken into
3 account in the salmon IFMP moving forward?
- 4 MR. OLESIUK: Now, that question would need to be
5 directed to Management. We have a marine mammal
6 coordinator, Paul Cottrell. He used to also look
7 after **SARA** issues. I'm not sure what the division
8 of those responsibilities are, but I would refer
9 that question to managers.
- 10 Q All right. And perhaps on that note, you could
11 just clarify your business relations between
12 Science and Fisheries Management.
- 13 MR. OLESIUK: Well, I'm in Science Branch and our role
14 is to give science-based advice to managers and to
15 ensure that Science decisions are made on sound
16 factual information. And that advice is hopefully
17 considered by managers, along with social,
18 political and economic factors in, ultimately,
19 making management decisions.
- 20 Q All right. And what's the general route of how
21 you communicate with the managers? What's the
22 general line of communication?
- 23 MR. OLESIUK: Well, it's evolved and it varies, and, in
24 reality, it's sort of a two-way street in that
25 sometimes being marine mammal specialists, we may
26 have an understanding and see a looming issue that
27 should be addressed before the managers are aware
28 of it. For example, the growing Steller sea lion
29 population, we thought that, you know, we should
30 know something about their feeding habits so we
31 could kind of flag the issue for managers.
- 32 Q Right.
- 33 MR. OLESIUK: And then once managers began to
34 appreciate that they are an important predator,
35 they start asking us for science advice on more
36 specific topics, and presumably, how the
37 information can be incorporated into their
38 management plans and decisions.
- 39 Q Okay. Thank you. And in your opinion, should
40 allowances for Steller prey requirements be made
41 in the IFMP?
- 42 MR. OLESIUK: I certainly think Steller sea lions
43 should be included in the management plans. I'm
44 not sure that we should be setting a quota or
45 making allowance specifically for sea lions. Like
46 I mentioned this morning, unlike killer whales,
47 Steller sea lion populations, right now, are not

1 being -- they're not being limited by anything,
2 they're growing exponentially.

3 Q Right.

4 MR. OLESIUK: That growth can't continue indefinitely.
5 When they do ultimately become limited, it's
6 likely to be prey resources, but it's unlikely to
7 be salmon. Salmon only make up a little over 10
8 percent of the diet. 90 percent are other fish
9 species and so we need a more general inclusion of
10 sea lion factors in management plans, not the
11 specific quota of chinook, like killer whales.

12 Q All right. And has predator control of marine
13 mammals taken place in recent years?

14 MR. OLESIUK: The most recent control was in the
15 Puntledge River in the late 1990s, where we
16 removed about 45 nuisance seals.

17 Q Okay. So that was an isolated incident in time
18 and place?

19 MR. OLESIUK: Yes.

20 Q What process is utilized to determine whether or
21 not a cull should be utilized as a tool?

22 MR. OLESIUK: Well, in the case of the Puntledge, we
23 had established a working group to examine factors
24 that were impeding the recovery of summer chinook,
25 which there was a serious conservation concern
26 for, and we had Habitat people and Enhancement
27 people, and chinook Managers, Enforcement people,
28 and I was on the working group as a pinniped
29 specialist and we collectively tried first to
30 mitigate the impacts on pinnipeds on chinook using
31 non-lethal measures, and ultimately, when those
32 failed, proceeded with a cull.

33 Q Okay. Thank you. All right.

34 MR. TIMBERG: If we could turn to page 19 of the IFMP.
35 And then here, if we could -- the paragraph in the
36 middle of the page. Right there, yeah.

37 Q So in the middle of this paragraph, it states:

38
39 Recent indicates that chinook salmon
40 represents about 90 percent of the resident
41 killer whale diet in the **SARA** ...
42

43 And I won't read the rest of this, but for Dr.
44 Ford, then, this inclusion in the IFMP, where it
45 talks about the northern resident, southern
46 resident, offshore and transient killer whale
47 populations, you'll agree that they're all listed

1 under **SARA**? Or let me get that question right.
2 I've read the wrong question, I apologize. Does
3 this paragraph in the IFMP refer to your diet work
4 on killer whales?

5 DR. FORD: Yes, it does.

6 Q And did you work with resource managers in the
7 course of your killer whale diet work?

8 DR. FORD: Not in the course of our collection of data
9 and analysis of the data to do with killer whale
10 diet, but in developing Science advice for
11 management, yes.

12 Q All right. And then who at DFO could elaborate on
13 what Management actions are taken with respect
14 "ensuring an adequate supply of prey for resident
15 killer whales"?

16 DR. FORD: Being that our work has shown a strong
17 relationship between resident killer whale
18 survival and chinook salmon, it would be the
19 individual responsible for management of chinook
20 salmon, Jeff Grout, at present.

21 Q All right. And are there other marine mammals
22 that should receive the same consideration in
23 salmon planning as resident killer whales? I'd
24 ask that question of yourself and of Mr. Olesiuk.

25 DR. FORD: Well, from a citation standpoint, no. I
26 don't believe there is another species that relies
27 to anywhere near the extent that resident killer
28 whales do on salmon. Again, the Pacific white-
29 sided dolphin is an animal that potentially could
30 play a role in salmon predation and potentially,
31 salmon declines, and also may, at certain times of
32 the year, in certain areas, be reliant on salmon,
33 but we don't have enough information to assess
34 that as yet.

35 Q All right. And Mr. Olesiuk, are there other
36 marine mammals that should receive the same
37 consideration and salmon planning as resident
38 killer whales?

39 MR. OLESIUK: Well, we do have issues with harbour
40 seals and impacting some of the small depressed
41 salmon stocks, and I think that needs to be
42 considered in the management plan. There's a
43 proposal to undertake a science assessment this
44 year, and I believe that advice has been asked so
45 that it can be incorporated into the management
46 plan.

47 Q All right. Thank you. I'll move on to a new

1 theme, then, of science advice to fisheries
2 managers. I think I've covered this. You've
3 spoken generally about resource managers
4 requesting science advice. I'm wondering if you
5 could each give an example from your own work on
6 such a request for science advice.

7 MR. FORD: Certainly. In our work on cetaceans, the
8 best example is the request to provide estimates
9 of the number of chinook salmon that might be
10 needed to support the existing population
11 abundance of resident killer whales and also as
12 required under the **Species at Risk Act**, to allow
13 for recovery of the population into the future.
14 And so this was a formal request for Science
15 advice to provide this information. That then led
16 to a special analysis, the report that has been
17 marked previously.

18 Q Right.

19 MR. FORD: Which updated our understanding, and based
20 on our field work, of the diet of resident killer
21 whales and also described new techniques, genetic
22 techniques that were applied to better understand
23 which stocks the resident killer whales prey on in
24 different areas, and at different times of the
25 year, and also included estimates of chinook
26 consumption rates, based on bioenergetic models.
27 So these were put together into a report that was
28 reviewed by DFO's National Marine Mammal Review
29 Committee, which is primarily marine mammal
30 specialists, an annual meeting in the fall of
31 2009.

32 Q All right. So there's an example, and Mr.
33 Olesiuk, do you have any other examples with
34 respect to requests for Science advice?

35 MR. OLESIUK: Well, our salmon consumption estimates
36 for Steller sea lions were requested by Science,
37 that they be peer reviewed and we did that.

38 Q Okay. Thank you.

39 MR. TIMBERG: If we could now have expert report number
40 8, which I guess is Exhibit 783, and if we could
41 turn to page 13.

42 Q And Dr. Ford, do you agree with the criteria for
43 determining which are important predators that's
44 listed at the bottom of page 13, under the
45 paragraph, "Significance of Predation"? Do you
46 agree with that way of understanding and selecting
47 potential predators?

1 DR. FORD: Yes. Yeah, those criteria seem to be the
2 most important ones.

3 Q All right. And does a predator have to be
4 increasing in abundance to have a predation effect
5 on sockeye?

6 DR. FORD: Not necessarily. It could involve a shift
7 in the prey that that species, that predator is
8 targeting. I think that was raised this morning,
9 as well.

10 Q All right. Okay. And can there be cumulative
11 predator effects on Fraser River sockeye salmon?

12 DR. FORD: I would expect that there would be because
13 there's multiple potential different predatory
14 species on Fraser River sockeye at various stages
15 of their lifecycle so yes, those would be
16 cumulative.

17 Q All right. And Dr. Trites, does your report
18 consider the cumulative effects of predation on
19 Fraser River sockeye salmon?

20 DR. TRITES: We haven't looked at it specifically in
21 terms of cumulative. Doing so would probably
22 require putting together an ecosystem model, which
23 is one of our recommendations. And only that way
24 do we think we could truly evaluate the cumulative
25 and indirect effects.

26 Q Okay. So right now, we just have the individual
27 effects in your report?

28 DR. TRITES: We have the individual effects and then in
29 our assessment, we're looking at all four
30 combined.

31 Q All right.

32 DR. TRITES: So it isn't just relying on one. This
33 first list, here, helps us to identify the key
34 ones we need to look into further, but in the end,
35 it's assessing all four together.

36 Q Okay.

37 MR. TIMBERG: If we could turn to page 67, and the
38 second paragraph there on killer whales states:
39

40 Chinook salmon appear to be less frequently
41 eaten by resident-type killer whales in
42 Alaska. Sockeye salmon have been estimated
43 to form 12.5 percent of the overall killer
44 whale diet in the Central Aleutians. 6.4
45 percent in the Eastern Aleutians and 10
46 percent in the Gulf of Alaska.
47

1 Q And Dr. Ford, do you agree with that assessment?

2 DR. FORD: Not in all respects. There is work that
3 colleagues have been undertaking using
4 conventional prey fragment sampling, as we have
5 done in observations of predation that have shown
6 that the specialization of the resident-type
7 killer whales in Southern Alaska, so that would
8 include the areas of Prince William Sound, Kenai
9 Fjords and so on, where most of this work has
10 taken place is actually very similar in that
11 chinook are the preferred species and
12 subsequently, you know -- or other species are
13 less so. Their samples are fewer in number. They
14 have about 160 predation events that they've
15 quantified and there was only one sockeye in those
16 samples.

17 The study by Worthy that's referred to there,
18 I don't believe that that's accepted in that it
19 uses chemical tracers taken from the skin and
20 blubber of stranded or biopsy-sampled killer
21 whales and uses very statistical techniques to
22 infer diet from those samples. It uses a
23 technique that I don't believe is widely accepted,
24 it's not been peer-reviewed. At least that report
25 was not peer reviewed. And others that have
26 undertaken similar work with larger samples have
27 shown conflicting results. And I think the key
28 thing that's, I think, not generally accepted in
29 the use of this technique is that it enables that
30 level of resolution to be able to distinguish
31 predation levels on different salmon species, for
32 example.

33 Q All right. And so to summarize that, then, how
34 would you summarize your observation with respect
35 to chinook salmon and killer whales' diet up in
36 the North Pacific?

37 DR. FORD: I would say that the evidence suggests that
38 the population that's been studied in the Eastern
39 part of Southern Alaska is very typical of what we
40 see in this population here. As one goes west
41 towards the Aleutians, there is evidence that
42 there's a shift in the diet of fish-feeding killer
43 whales in that region, but there's no evidence
44 that they feed to any significant degree on
45 sockeye salmon.

46 Q Okay.

47 MR. TIMBERG: If we could turn to page 68 of the

1 report? The first paragraph on white-sided
2 dolphin reads:
3

4 A small population of dolphins, numbering
5 about 100 individuals took up year-round
6 residency in the Strait of Georgia over the
7 past 10 years, but nothing is yet known about
8 their movements or diets.
9

10 Q Again, Dr. Ford, do you agree with that statement?

11 DR. FORD: I think that may overstate the degree to
12 which we understand the abundance and site
13 fidelity of dolphins in Georgia Strait. As Dr.
14 Trites explained this morning, there has been a
15 shift in distribution. Dolphins became frequently
16 sighted in Georgia Strait in the 1990s, but
17 there's really no evidence that -- well, there's
18 no information on the overall abundance of these
19 animals or whether they are actually resident in
20 Georgia Strait throughout the year. Part of the
21 problem in tracking this kind of information with
22 the sightings network is over the last decade, in
23 particular, that the sightings network has been
24 promoted. More and more sightings have been
25 submitted to the network and so there's a
26 potential shift in the effort in collecting these
27 sightings. So what may appear to be more
28 frequently sighted dolphins may be, at least in
29 part, attributable to an increase in sighting
30 effort. Nonetheless, I think it's clear that
31 white-sided dolphins are regularly found
32 throughout the year now in Georgia Strait, and
33 their numbers are probably in the low 100s.

34 MR. TIMBERG: Thank you. If we could then turn to page
35 71 of the report, Table 5.

36 Q And Dr. Trites, could you explain how you arrived
37 at the 26 species?

38 DR. TRITES: Well, initially, in our original scoping,
39 you already touched on the four criteria.

40 Q Right.

41 DR. TRITES: I think that was on page 17.

42 Q Yeah.

43 DR. TRITES: We then searched through the literature to
44 see which of the many species that are in our
45 ecosystems would fit these criteria and then
46 shortened it down to those where a red flag came
47 up, either because of a diet abundance, overlap or

1 some change in the specie numbers.

2 For many species, we don't have good
3 estimates in terms of, you know, quantitative
4 estimates for diet, sometimes not for abundance.
5 In other cases, some species, particularly for
6 marine mammals, some of them, we have much better
7 information. So we've shaded things in here based
8 on how strong or weak we felt the evidence was for
9 each of these categories.

10 We were looking in terms of abundance since
11 the 1980s --

12 Q Mm-hmm?

13 DR. TRITES: And out of that, we end up with,
14 essentially, a scoring sheet here.

15 Q Right.

16 DR. TRITES: Which we then use to evaluate which ones
17 we feel were the most important.

18 Q And then when you get to the final six, are you
19 looking at all of those categories, the five
20 columns, or are you looking at just diet?

21 DR. TRITES: We're trying to synthesize, in this case,
22 all, what, four columns together.

23 Q All right.

24 DR. TRITES: So it is trying to come up with an overall
25 qualitative assessment.

26 Q And having heard from Dr. Ford and Mr. Olesiuk,
27 would you agree that their suggestion that white-
28 sided dolphin should perhaps be included, and also
29 their assessment with respect to Steller sea
30 lions?

31 DR. TRITES: In terms of white-sided dolphin, we're
32 still down to essentially that one sample where we
33 found -- through the work from Kathy Heise for
34 sockeye salmon. And so that's why we've shaded
35 him with a grey colour, is that there's some
36 evidence that there could be. We know that salmon
37 does make up part of the white-sided dolphin's
38 diet, but beyond that, I think I'd be hesitant to
39 wave too strong a flag saying that white-sided
40 dolphins were a significant predator of sockeye
41 salmon. Nevertheless, it is something that needs
42 to be filled in with more confidence. I think
43 more puzzling, perhaps, is this arrival of the
44 white-sided dolphins from the outer waters coming
45 into the inside waters over the past decade. And
46 from this sightings network, and Dr. Ford touched
47 on some of the weaknesses of relying on citizen

1 scientists to provide information, but one of the
2 interesting things in looking at the data is that
3 the main group sciences, over the past decade,
4 have been increasing. So just that numbers indeed
5 have been increasing in the inside water. So
6 that's the main number of dolphins being sighted
7 by the individual mariners.

8 And the other interesting thing is that
9 they're now here 12 months of the year, and that
10 wasn't the case at the beginning of the decade.
11 So there is reason to look more carefully, but
12 keep in mind, that's just 10 years, and we're
13 talking about a trend with sockeye salmon that
14 goes back more than just 10 years. And there's
15 nothing unusual in the sightings for the 2009 year
16 return. So I think it is one to put on the watch
17 list, but in our opinion, it did not merit as high
18 a consideration as the other six species,
19 although, as Dr. Christensen mentioned this
20 morning, you know, six was not a magic number, we
21 could have put seven or eight and made the list
22 longer, then the white-sided dolphins would have
23 come up on it.

24 Q Okay.

25 DR. TRITES: You had asked about Steller sea lions. I
26 don't know if you want to go into that, or not?

27 Q My colleague, here, has got me a question. No.
28 And so before we move on to Steller sea lions, I'm
29 just wondering, Dr. Ford, if you agree with that
30 statement?

31 DR. FORD: Yes, I don't disagree substantively with
32 what Dr. Trite's explained for white-sided
33 dolphins.

34 Q Okay. And then if perhaps you could just -- then
35 your comments on Steller sea lions, whether that
36 should be included.

37 DR. TRITES: Yeah, the -- I guess the big issue, the
38 big question here is just how important is sockeye
39 salmon in the sea lion diet. And I'm just
40 wondering if we could go back to one of the
41 figures that was shown earlier, and it was based
42 on the DNA work done on Steller sea lion scats,
43 and I've got it as document 21, and I'm not sure
44 which binder this is, predation documents 5-23,
45 the Marine Mammal Panel. I'm looking at page 94,
46 figure 36.

47 MR. TIMBERG: Mr. Commissioner, I'm wondering if this

1 is an appropriate time for the afternoon break?

2 THE COMMISSIONER: Certainly.

3 MR. TIMBERG: Yeah.

4 THE REGISTRAR: The hearing will now recess for 15
5 minutes.

6

7 (PROCEEDINGS ADJOURNED FOR AFTERNOON RECESS)

8 (PROCEEDINGS RECONVENED)

9

10 THE REGISTRAR: Order. The hearing is now resumed.

11

12 CROSS-EXAMINATION BY MR. TIMBERG, continuing:

13

14 Q Dr. Trites, before the break I was asking you to
15 comment on your response to whether we should put
16 greater emphasis on Steller sea lions with respect
17 to Table 5. Figure 36, page 94, Table 5.

18 DR. TRITES: Yeah, and I think a lot of the question
19 originally comes down to diet, how much sockeye
20 salmon's in their diet. So I'd like to go to that
21 figure 36 on page 94 of Tab 21. So this is the
22 work that Mr. Olesiuk has been leading, and it's
23 the DNA results that were shown earlier in a
24 slightly different format, but to me what's so
25 intriguing on here is as we go across you see that
26 of the salmon species that were identified
27 positively you've got sockeye there just over five
28 percent, the least of all the species, followed
29 there by pink, coho, chum and Chinook.

30 Q Isn't sockeye at 15 percent?

31 DR. TRITES: Sorry, the second bar is sockeye salmon?

32 Q Oh, I'm looking at the bar, sockeye or pink, at
33 the --

34 DR. TRITES: Yeah, so I'll take you --

35 Q -- far right.

36 DR. TRITES: -- across to there, but if we just start
37 with the ones that we know for sure what they are,
38 you can see that sockeye is not very, what,
39 frequently occurring --

40 Q Right.

41 DR. TRITES: -- compared to the rest. The issue comes
42 down to this one about sockeye or pink, the ones
43 that can't be categorized yet. More analysis, it
44 wouldn't take very long to do, could tell us for
45 sure, are those mostly sockeye or mostly pink. So
46 if you deal with the positive ID, you'll see
47 sockeye is the least preferred, which is

1 consistent with what you're seeing for Northern
2 fur seals, consistent with killer whales, for
3 example, but -- and so until we get that one bar
4 resolved, there'll be some disagreement, perhaps,
5 about how important they are.

6 If you look at off the Washington where you
7 have the Columbia River, it's interesting that
8 sockeye and pink occur in very low abundance.
9 Now, there's not many pink in the Columbia to
10 begin with, but there are a lot of sockeye, and
11 you would think if sockeye were important to
12 Steller sea lions, we'd be finding sockeye salmon
13 there showing up. But it's a, what, relatively
14 infrequent, the occurring prey specie there.

15 So I think that when this analysis is done
16 we're probably going to find something consistent
17 with the Columbia River, which would be that
18 sockeye are not that important. If you look at
19 overall the diet is estimated to be about just
20 over 10 percent is salmon for Steller sea lions.
21 If you break that down to five percent of the 10
22 percent it gets down to a very small percentage.

23 Q All right. Thank you. And Mr. Olesiuk, do you
24 have any comment?

25 MR. OLESIUK: Yeah, I'm not ready to hang my hat on
26 these particular data, yet. As Dr. Trites has
27 pointed out, these samples need to be analyzed to
28 sort out the ambiguities, but I think even more
29 importantly, we need to run the other two-thirds
30 of the samples that have been collected but not
31 genetically analyzed at all, and we need to expand
32 these studies. We've only looked at Steller
33 predation in the southern part of B.C., which
34 represents roughly half of the population. We
35 need to extrapolate the -- extend those studies to
36 the other, northern part of the province.

37 But in terms of the importance of sockeye
38 predation, I think it's a matter of what the total
39 consumption is and also what apportion of that
40 total consumption is sockeye. In the case of
41 Steller sea lions I think we have a very high
42 consumption figure and a low proportion of
43 sockeye, which could still result in a significant
44 amount of sockeye being consumed.

45 Q Right. So the question, then, is: What does this
46 five percent translate to in volume?

47 MR. OLESIUK: Okay, well, the total salmon consumption

1 in our study area was about 17,000 tons, which is
2 17 million kilograms a year. About 14, just over
3 14 million of those kilograms occurred in B.C.
4 That's sort of half the Steller sea lion
5 population in B.C. And even if five or 10 percent
6 of 14 million kilograms of sockeye, that
7 represents a lot of sockeye.

8 Q All right. Thank you. Mr. Olesiuk, can you
9 explain what is a depensatory effect?

10 MR. OLESIUK: Well, generally, predation tends to be
11 compensatory, the opposite of depensatory, and
12 what that means is that these predators, most of
13 them are not specialists but opportunists that
14 will feed on whatever is locally and seasonally
15 abundant. And so what happens if it's a good year
16 and lots of the, you know, salmon eggs hatch and
17 fry are abundant, predators will take a larger
18 fraction than if, in a poor year, where there's
19 few fry. And if the predators in the lake and
20 river where these eggs are hatching take lots,
21 there's left (sic) for, you know, for the
22 predators out in the estuary. But if the
23 predators in the lake take less, there's more left
24 for predators in the estuary, so they tend to
25 compensate one another and basically buffer the
26 system.

27 Depensatory mortality is the opposite, and
28 this is where you get the sort of artificial
29 situations where there is -- the balance between
30 predator and prey is disrupted, and most of the
31 seal problems, the conservation issues we're
32 dealing with are because of this imbalance, things
33 like Puntledge River Chinook, they've been
34 depressed to very low levels. But, in that same
35 system, there are still healthy, large returns of
36 pink salmon and chum salmon that attract lots of
37 predators, and these large numbers of predators
38 congregate in the area and remain in that area
39 between the pink and the chum runs and feed on
40 these low, depressed --

41 Q Right.

42 MR. OLESIUK: -- Chinook stocks, and that's where you
43 get an artificially high level of predation. And
44 these predators aren't -- their numbers aren't
45 dictated by the number of Chinook returning;
46 they're dictated by these larger run that attract
47 them to that area. And so you get into a

1 situation where prey populations, the more
2 depressed they become the higher the predation
3 rate, and those are the situations we're dealing
4 with, with seals.

5 So if this investigation were a -- commission
6 were into some of the smaller steelhead and coho
7 runs that are going up the Fraser with these still
8 relatively large sockeye, I would have more
9 concern over the impact of seals.

10 Q Right. So compensatory effect is there's a greater
11 predator impact with the same number of predators
12 if there's fewer prey; is that --

13 MR. OLESIUK: Yeah, it could be even fewer predators,
14 but it's the racial predators to prey.

15 Q Right.

16 MR. OLESIUK: So you could have even moderate level
17 predators, but with very low prey abundance you
18 get a compensatory effect.

19 Q Okay. And so I think -- so you've given -- so
20 some examples of depressed prey stocks, what are
21 some examples, then, of depressed prey stocks
22 impacting on predation?

23 MR. OLESIUK: Well, I've already mentioned Chinook in
24 the Puntledge River. We've got, in the Strait of
25 Georgia we've got healthy seal populations with
26 depressed rockfish stocks, depressed lingcod
27 stocks. On the east coast they've got increasing
28 large grey seal populations, they've got depressed
29 Atlantic cod stocks. And in all of these
30 situations I don't think anybody thinks the
31 pinnipeds are the factor that drove these prey
32 stocks to low levels, whether it's natural,
33 catastrophic events or habitat disease or
34 overfishing, but once these prey populations are
35 reduced, that's -- and you have healthy pinniped
36 populations maintained by other prey, that's where
37 you get these large impacts.

38 Q Okay. Thank you. If we could turn to page 81 of
39 the report, it says, in the middle paragraph
40 there:

41
42 ...it has been postulated that harbour seals
43 in British Columbia might have a net positive
44 effect on the return of adult salmon by
45 consuming species of fish that prey heavily
46 on salmon smolts...

1 And Mr. Olesiuk, do you agree with that comment?
2 MR. OLESIUK: No. As I mentioned earlier, I think that
3 pinnipeds do prey on other fish predators, but I'm
4 not aware of any of the species that we've
5 identified in seal diets in British Columbia being
6 heavy salmon predators.

7 Q Okay. Thank you. If we could then turn to
8 Canada's list of documents, Tab 23A, there's a
9 number of web-paged documents here that we've
10 included.

11 And so Dr. Ford, could you please explain
12 what the Strait of Georgia Ecosystem Research
13 Initiative is, and in answering that question,
14 could you explain what this document is, also?

15 DR. FORD: The Strait of Georgia Ecosystem Research
16 Initiative is one of a number of ecosystem
17 research initiatives that were undertaken by DFO
18 in the various different regions of the country,
19 so these initiatives were meant to implement steps
20 towards ecosystem-based management that was
21 mandated by the *Oceans Act*. And so to help that
22 process get underway, these ecosystem research
23 initiatives were meant to choose kind of an model
24 study ecosystem in each of the regions and then to
25 examine them in great detail. For Pacific Region,
26 the Strait of Georgia was selected as the area to
27 focus on.

28 Q All right. And this document, where does this
29 document come from?

30 DR. FORD: That particular document's on the DFO
31 website.

32 MR. TIMBERG: All right. And if we could have that
33 marked as the next exhibit, please?

34 THE REGISTRAR: Exhibit 798.

35
36 EXHIBIT 798: DFO website snapshot, titled,
37 The Strait of Georgia Ecosystem Research
38 Initiative

39
40 MR. TIMBERG: And Mr. Registrar, if we could then turn
41 to the next document at the same tab?

42 MR. LUNN: Letter B?

43 MR. TIMBERG: Letter B, yes. And so actually, if you
44 could go to the next tab, D, sorry, key outcomes,
45 yes.

46 Q So again, Dr. Ford, could you provide for us an
47 overview of what some of the key outcomes were and

1 perhaps just a bit of the chronology of where
2 we're at with this initiative?

3 DR. FORD: Okay, the initiative began in January of
4 2008. It involved a wide range of studies looking
5 at different components of the Strait of Georgia
6 ecosystem. These are just a few outlined here and
7 key outcomes, a few of the anticipated outcomes
8 when the project started and included development
9 of tools for ecosystem-based management. Those
10 would be primarily ecosystem models that can be
11 used to better understand and predict how the
12 ecosystem functions. And there were problems,
13 initially, that wanted to be -- that warranted
14 being addressed and those were specifically with
15 coho and Chinook. This project began in 2008,
16 it's a three-year project with one additional year
17 of analysis and synthesis that is underway this
18 fiscal year. But at the time that the ERI began,
19 the sockeye situation hadn't developed to the
20 point it did in 2009.

21 Q Okay.

22 DR. FORD: And then the third outcome was anticipated
23 to be a better understanding of the role of apex
24 predators, like harbour seals in food webs of
25 Georgia Strait.

26 Q All right. And is there --

27 MS. TESSARO: I'm sorry, Mr. Timberg, to interrupt you.
28 Without in any way intending to rush you, I just
29 would note that we're at the 60 minutes of your
30 estimate right now, and if you have a revised
31 estimate that would be fine.

32 MR. TIMBERG: Yes, thank you. I've cut back
33 significantly. I would like to get through this
34 research initiative, because I think it's relevant
35 for the ecopath modelling and the ecosystem
36 management, that this was basically a pilot, I
37 understand. And then I have a series of questions
38 with respect to whether or not we need to look at
39 the location of mortality in analyzing and
40 understanding predator-prey relations, and then I
41 think I would be completed. So I'm hoping to be
42 finished in the next 10 minutes. Is that -- well,
43 I'll do my best.

44 MS. TESSARO: I can't disagree with that.

45 MR. TIMBERG: Okay, thank you.

46 Q And is there a modelling component to this ERI
47 program?

1 DR. FORD: Yes, there is. There's four different
2 models that have been examined and developed as
3 part of the ERI. One is an ocean and atmospheric
4 forcing model, another model looking at low
5 trophic level effects in the ecosystem, and then
6 two models that have involved higher trophic level
7 interactions, and one of those is Ecopath with
8 Ecosim-type model, and another is one called
9 Osmose that is a slightly different approach, but
10 again looking at connections between upper trophic
11 levels.

12 Q And who, at DFO, is best placed to speak to this
13 modelling component?

14 DR. FORD: Probably Caihong Fu, who developed the
15 Osmose model with other co-authors, or Ian Perry,
16 both in science.

17 Q And who is Ian Perry? Okay. And if we could then
18 move to Tab F of the same...This is a list of
19 ongoing research projects. And did you
20 participate, yourself, in any of this ERI-related
21 work?

22 DR. FORD: Yes, I did. I was involved in two projects.
23 One is shown here on this page, about the fifth
24 down, diet and distribution of porpoise in the
25 Strait of Georgia, I referred to that study
26 earlier, looking at stomach contents to gain
27 insight into the diet of these animals in the
28 Strait of Georgia ecosystem. And another project
29 that looked at the relationship between changes
30 and abundance and habitat use patterns of mammal-
31 hunting killer whales coinciding with the increase
32 in harbour seal abundance in Georgia Strait over
33 the last 30 years or so.

34 Q All right. And I'm going to move on, but I'm just
35 wondering, for the assistance of the Commissioner,
36 if you could just provide an overview of what was
37 the intent of this ERI project and what you know
38 -- obviously what you know about what's going to
39 happen in the future?

40 DR. FORD: Well, I think it was really to get a more
41 complete understanding of how the ecosystem works,
42 temporal variability in the ecosystem, spatial
43 variability, and how energy flows between trophic
44 levels in the food web. Those were some of the
45 key goals. Also to better understand resilience
46 of the ecosystem, how it's vulnerable to
47 perturbations through fisheries or other factors

1 and how resilient the ecosystem is.
2 And then, again, to specifically develop
3 models that can be used as tools down the road to
4 actually better put the Strait of Georgia into an
5 ecosystem management context and to apply those
6 tools to management of other parts of the
7 ecosystem outside of the Georgia Strait.
8 MR. TIMBERG: All right. Thank you. And just for
9 clarity, I'm going to suggest that that exhibit we
10 just entered would be for all of the tabs, because
11 that, as I understand it, the first page is from
12 the website and then the documents that follow are
13 the links that if you clicked on it you would go
14 to that. So I'm wondering if that's permissible?
15 MS. TESSARO: Barring any objections from participants,
16 we don't have a concern with that approach.
17 THE COMMISSIONER: So which one are you marking, then,
18 sorry?
19 MR. TIMBERG: Ms. Gaertner has suggested that they
20 perhaps be marked subcategory A, B, C, D, for
21 clarity. So I'm certainly agreeable to do that,
22 and then we would just need to, Mr. Registrar,
23 just perhaps go through this tab so we can all get
24 our A, B, C's correct.
25 THE REGISTRAR: You've already marked 798.
26 MR. TIMBERG: So the first page, perhaps, will be 798,
27 and then the second page will be 798A.
28 THE REGISTRAR: We have documents here that are A to F;
29 is that correct?
30 MR. TIMBERG: That's correct.
31 THE COMMISSIONER: Mr. Registrar, what was Exhibit 798
32 again, I'm sorry?
33 THE REGISTRAR: 798 was the Strait of Georgia Ecosystem
34 Research Initiative.
35 THE COMMISSIONER: And what was 797?
36 THE REGISTRAR: 797 was the **Species at Risk Act**
37 Management Plan Series, Management Plan for the
38 Steller Sea Lion in Canada.
39 THE COMMISSIONER: Okay, thank you.
40 THE REGISTRAR: Now, if you want these marked 798 A
41 through F, I notice you've already got them marked
42 A to F there.
43 MR. TIMBERG: Mm-hmm.
44 THE REGISTRAR: If I mark them 798 starting at A --
45 MR. TIMBERG: So it'll go A to --
46 THE REGISTRAR: -- we'll be missing 798.
47 MR. TIMBERG: Okay, so --

1 THE REGISTRAR: It comes out of sequence.
2 MR. TIMBERG: So we'll just knock one off at the end.
3 THE REGISTRAR: Yes, so you'll have 798, 798A --
4 actually, do to it properly, in terms of
5 sequencing the exhibits, 798 will be A --
6 MR. TIMBERG: Yeah.
7 THE REGISTRAR: -- will be Item A, the Strait of
8 Georgia Ecosystem Research, that'll be 798.
9 MR. TIMBERG: Okay.
10 THE REGISTRAR: 798A will be Strait of Georgia
11 Ecosystem, which is shown as B here.
12 MR. TIMBERG: Okay, thank you.
13 THE REGISTRAR: Okay? So that will be A.

14
15 EXHIBIT 798A: Strait of Georgia Ecosystem
16 Initiative, an Overview
17

18 THE REGISTRAR: 798B will be Ecosystem Research
19 Initiative (ERI) Pacific Region.
20

21 EXHIBIT 798B: Ecosystem Research Initiative
22 (ERI) Pacific Region - "The Strait of Georgia
23 in 2030", Research Plan
24

25 THE REGISTRAR: 798C will be the Strait of Georgia
26 Ecosystem Research Initiative.
27

28 EXHIBIT 798C: Strait of Georgia Ecosystem
29 Research Initiative - Key Outcomes
30

31 THE REGISTRAR: 798D will be Strait of Georgia
32 Ecosystem Research Initiative, Modelling
33 Component.
34

35 EXHIBIT 798D: Strait of Georgia Ecosystem
36 Research Initiative, Modelling Component
37

38 THE REGISTRAR: And E will be the Strait of Georgia
39 Ecosystem Research Initiative - Ongoing Research
40 Projects
41

42 EXHIBIT 798E: Strait of Georgia Ecosystem
43 Research Initiative - Ongoing Research
44

45 MR. TIMBERG: Thank you. And then, Mr. Registrar, if
46 we could go back to expert report number 8, if we
47 could turn to page 13?

1 THE COMMISSIONER: The towel brigade.
2 MR. TIMBERG: I'm making very efficient use of my 10
3 minutes.
4 THE COMMISSIONER: And we're being entertained.
5 MR. TIMBERG: That's good enough, thank you.
6 UNKNOWN SPEAKER: Time's up.
7 MR. TIMBERG: I know. I've got four minutes.
8 Q So at the bottom of page 13 we have the test or
9 the analysis for what is a significant predation.
10 And for the panel, or Dr. Trites, would you agree
11 that the location of any Fraser River sockeye
12 mortality is also a consideration in assessing
13 possible predator impacts?
14 DR. TRITES: Yes, I would agree.
15 Q So that would be --
16 DR. TRITES: So that's our first criteria on there,
17 that the prey and predator must overlap in time
18 and space.
19 Q So my colleague's saying it's the location of
20 increasing mortality is another consideration that
21 would be helpful?
22 DR. TRITES: So I guess what you're getting at is, are
23 you asking, does it matter if the amount of prey
24 consumed is high? Is that what you're touching
25 on? Because the reality is that, depending on the
26 species, if the sheer numbers are high they could
27 eat a low amount and that could, in turn, have an
28 effect.
29 Q But would you agree that most Fraser River sockeye
30 die as a result of predation?
31 DR. TRITES: We don't have any evidence of that. They
32 could be dying of a number of different things.
33 Q Okay.
34 DR. TRITES: But I think it's fair to assume if they
35 don't get back they have died.
36 Q There we go. All right. And I guess my point is,
37 the issue of where the mortality occurs is -- does
38 it happen in the Georgia Strait; or does it happen
39 in the open ocean; does it happen in the river, is
40 a relevant factor that we should be looking at?
41 DR. TRITES: You know, in our assessment, and here I'll
42 go just beyond marine mammals, including, also,
43 birds and fish, there is evidence that predation
44 occurs throughout the life history of salmon.
45 Q Right. And so where that mortality happens is a
46 helpful consideration?
47 DR. TRITES: Definitely.

1 Q And then whether a particular predator is feeding
2 on a fry or a smolt or a juvenile salmon or an
3 adult salmon is another relevant consideration?

4 DR. TRITES: That's correct.

5 Q Okay. And so do we know whether -- or do you know
6 whether Fraser River sockeye mortality in
7 freshwater has been increasing?

8 DR. TRITES: In terms of marine mammals, there's no
9 evidence that they are -- I mean, some are in
10 river mounds, for example, some freshwater areas.
11 But when you look at predation that's been
12 recorded by harbour seals on smolts coming out of
13 rivers, there's only two spots in British Columbia
14 that's been identified: one, is the Puntledge
15 River; the other is in Port Moody. Both are
16 associated with hatcheries. Both are associated
17 with rivers where there's been changes: dredging;
18 bridges; lights from the towns and cities. And so
19 it's not clear whether or not this is a normal
20 predation occurrence or just an artefact of how
21 the environment has been changed and the mammals
22 have taken advantage of it.

23 Q Right.

24 DR. TRITES: One thing that is interesting is that in
25 none of these two cases is there any predation on
26 sockeye.

27 Q Okay. And if we could turn to page 83 of your
28 report, the fourth paragraph there, the first
29 sentence, you say that:

30
31 Indications are that the problem --
32

33 DR. TRITES: Just wait one second till I see where you
34 are.

35 Q So the fourth paragraph there:

36
37 Indications are that the problem of low
38 survival may be explained by conditions
39 encountered at sea.
40

41 DR. TRITES: Okay, the point here is that most of what
42 we know about salmon, it would appear, is from the
43 freshwater systems. Once they get into the near
44 shore coastal waters, you know, it's slightly
45 less, and it seems that once they get out into the
46 open ocean we know even less about them. So
47 that's the point of this, is that we essentially

1 don't know, and so, therefore, it raises a fairly
2 big question because it's part of the lifecycle
3 that we don't have good data for.

4 Q So when you say "encountered at sea", does that
5 include knowledge of the Georgia Strait, or are
6 you combining Georgia Strait and the open ocean?

7 DR. TRITES: With this statement here we're being very
8 general in applying both areas.

9 Q All right. And if we go to page 29, the third
10 paragraph, so here you state that:

11
12 The mortality of salmonids in the ocean can
13 be substantial, and indications are that the
14 early mortality is substantial (2-4% per day
15 for the first 40 days) but also that there is
16 substantial mortality afterwards... (0.4% -
17 0.8% per day for the 410 next days...
18

19 DR. TRITES: Mm-hmm.

20 Q And so my question is, then: Fraser River sockeye
21 salmon, would you agree they spend their first 40
22 days primarily in the Strait of Georgia?

23 DR. TRITES: All they can do, here, is just refer to
24 the work of Beamish and Neville and the work that
25 they've cited. And so, to my knowledge here,
26 we've cited the work as it has been published and
27 we're drawing estimates that they've made; we've
28 not made these estimates.

29 Q Okay. Do you have any knowledge, yourself, as to
30 where Fraser River sockeye spend -- where they're
31 located in their first 40 days in the ocean?

32 DR. TRITES: I don't, and when I've asked, trying to
33 understand more about the behaviour of sockeye,
34 for example, you know, we puzzled over why do
35 sockeye seem to be the least frequently occurring
36 salmon in the diets of marine mammals? And to
37 answer that I think we have to find people who
38 understand the behaviour of salmon. How do they
39 school; what are their anti-predator techniques?
40 And it seems that that's an aspect of the life
41 history that very few people know.

42 Q Okay.

43 DR. TRITES: And it's one of the big question marks we
44 have.

45 Q But you'll agree, then, that of the six predators
46 you've selected for further research, only two of
47 them occur in the Strait of Georgia; that's the

1 common murre and the River Lamprey, that the other
2 four don't occur in the Strait of Georgia?

3 DR. TRITES: That's correct.

4 Q All right. And then how do you reconcile that,
5 then, with Dr. Beamish's observation that early
6 mortality within the first 40 days is quite
7 significant? I'm curious that you're not focusing
8 on predation in the Strait of Georgia.

9 DR. TRITES: Well, we have tried to focus on predation
10 throughout the entire system, entire life history.
11 I think you're going to get more into this when
12 Dr. Christensen is here, as he speaks specifically
13 to the fish aspect, predation by other fish, and
14 that's essentially, I think, what this mortality
15 estimate is here. This does not refer to
16 predation by marine mammals --

17 Q Right.

18 DR. TRITES: -- but is touching on predation by fish
19 that should be the subject of the next panel, I
20 believe.

21 Q So your work, then, is primarily in the open ocean
22 and not in the Strait of Georgia?

23 DR. TRITES: No, my work has been with marine
24 mammals --

25 Q Right.

26 DR. TRITES: -- and predation by marine mammals.

27 Q Okay.

28 DR. TRITES: And these comments here are, I believe,
29 are attributed to predation by fish --

30 Q All right.

31 DR. TRITES: -- as opposed to predation by marine
32 mammals.

33 Q Okay, that's fair enough.

34 DR. TRITES: Perhaps that should have been clarified
35 when we stated the estimates.

36 MR. TIMBERG: All right. And my time is up. Thank you
37 very much.

38 MS. TESSARO: Mr. Commissioner, Tim Leadem, for the
39 Conservation Coalition, is going to use the next
40 10 minutes.

41 MR. LEADEM: For the record, Leadem, initial T.,
42 appearing as counsel for the Conservation
43 Coalition.

44

45 CROSS-EXAMINATION BY MR. LEADEM:

46

47 Q Good afternoon, gentlemen. We're at the end of a

1 rather long day for some of you. And I want to
2 start off with a general question of you, Dr.
3 Trites, that your report is entitled, Predation
4 Upon Salmon, and you would -- you've left out of
5 the predation equation, obviously because of your
6 terms of reference, the biggest predator, I would
7 suggest, of sockeye salmon is the human species;
8 is that correct?

9 DR. TRITES: That's correct, and you're also correct
10 that we were -- we had our terms of reference, and
11 the effects of fishing was not considered to be
12 predation, per se.

13 Q But if I can look at this holistically and maybe
14 even from an ecosystem conceptually, if we put the
15 human factor back into the equation, if we're
16 saying, for example, that we're going to allow or
17 call other predators to make more fish for humans,
18 how is that an ecosystem -- how does that balance
19 out in terms of an ecosystem approach?

20 DR. TRITES: You know, I can't speak specifically to
21 sockeye salmon in this case, but I know in other
22 ecosystems, for example, the Bering Sea, where I
23 have worked in constructing ecosystem models, that
24 we can show the effects of humans and how removing
25 one specie can have cascading effects throughout
26 an entire ecosystem. A human is definitely, you
27 know, are major factors in ecosystems. Removing
28 any one specie can have cascading effects and
29 indirect effects that we don't think of
30 beforehand, but often when we follow through the
31 mathematics and the numbers we can reason out why
32 we get these predictions from the models.

33 Q And I suppose from the aspect of my clients,
34 there's been predation, human predation, upon
35 sockeye salmon for centuries. And then we get to
36 commercial harvesting of salmon, and my clients'
37 approach are from the perspective that when there
38 was human predation upon sockeye up until the time
39 that commercial harvesting began, there seems to
40 be healthy populations of sockeye. So perhaps
41 there's a right way to catch fish and maybe a
42 wrong way to catch fish?

43 DR. TRITES: Yeah, and I think perhaps the other aspect
44 is, you know, your question, I think, is we're
45 just catching sockeye salmon?

46 Q Yes.

47 DR. TRITES: But, of course, fisheries are taking other

1 species as well: cod; pollock; flatfish, and
2 fisheries that are removing other species of fish
3 can also have indirect effects. What happens when
4 the major prey of perhaps a marine mammal are
5 moved? What are they going to switch to, to
6 compensate for it? That's why, in our
7 recommendations, our final one, was the need to
8 essentially model with mathematics the whole flow
9 of the lifecycle of the salmon to figure out just
10 those sorts of things and issues you're raising,
11 to see if there's other weak links in here that
12 could explain more than what our simple overview
13 of predation has been.

14 Q Right. And that was, looking at your report, that
15 was your last recommendation, number 5, I think,
16 or the --

17 DR. TRITES: That's right.

18 Q -- last paragraph?

19 DR. TRITES: Mm-hmm.

20 Q And I wanted to talk to Dr. Ford and Mr. Olesiuk,
21 too, about the recommendations contained in
22 Project 8, and to see if you had any comments,
23 particularly with respect to this modelling that's
24 being proposed here by Dr. Trites and Dr.
25 Christensen.

26 DR. FORD: I don't have any specific comments on that
27 particular section of the report. I think
28 ecosystem modelling can be a very valuable tool.
29 There's various models being developed, both
30 within DFO as a result of the Ecosystem Research
31 Initiative I just mentioned, and elsewhere. So I
32 think it is an important role -- there is an
33 important role for predictive models in ecosystem-
34 based management.

35 Q Right. So you don't take issue with that
36 particular recommendation, do you?

37 DR. FORD: I'd have to see if there's specifics that --

38 Q Page 83, please.

39 DR. FORD: In general, I agree with the importance of
40 ecosystem modelling.

41 Q We're now looking at Project 8, and just to draw
42 your reference, Dr. Ford, to page 83, it's the
43 last paragraph on that page.

44 DR. FORD: I agree, in principle, with that
45 recommendation.

46 Q Right. And Mr. Olesiuk, would you also agree, in
47 principle, with that recommendation?

1 MR. OLESIUK: I also agree that ecosystem modelling is
2 a valuable tool, but I would caution that these
3 models are only as good as the data that go into
4 them. And I think that, as we've heard today, our
5 understanding of food habits of these predators is
6 insufficient right now to construct models that
7 are actually going to give us predictive
8 capabilities.

9 Q If I can just go back to Project 8, to one page,
10 to page 80, or a couple of pages, to page 80,
11 there's a heading, Ecosystem manipulation: a scary
12 concept. And then I want to actually get Dr.
13 Ford's and Mr. Olesiuk's comments on the last
14 paragraph under that heading, which is found on
15 page 81, and the paragraph begins:

16
17 The first step to moving beyond *ad hoc*
18 experimentation with ecosystem manipulation
19 is through analyzing the effects at the
20 ecosystem level, be it through conceptual or
21 quantified ecosystem modeling. It must
22 further be recognized that there are limits
23 to current empirical knowledge and modeling
24 capabilities. Thus, experimental protocols
25 need to be carefully developed as part of
26 adaptive management schemes,
27

28 And there's a reference, then, to Walters, 186.
29 That would be Dr. Carl Walters, would it, Dr.
30 Trites?

31 DR. TRITES: Yes, it is.

32 Q All right. Could I get Dr. Ford's and Mr.
33 Olesiuk's reaction to that? Are you in agreement,
34 basically, with what's being propounded there?

35 DR. FORD: I have to confess, I haven't thought
36 extensively about that recommendation, but it
37 appears to be reasonable to me.

38 Q And Mr. Olesiuk, do you have any comments on that?

39 MR. OLESIUK: Yeah, I wasn't expecting this question,
40 but I do think that we need to learn from the way
41 we've managed in the past and in the present, and
42 I'm just not sure whether -- to what extent
43 management should be conducted as an experiment.

44 Q Right.

45 MR. OLESIUK: But monitoring might be more of what I
46 would -- sort of the philosophy I have.

47 Q But you would agree that there has to be a high

1 degree of caution applied if we're going to be
2 dealing with ecosystem manipulation?

3 MR. OLESIUK: Oh yeah. Yes, I agree.

4 Q Now, the other aspect of the report that is
5 absent, well, not totally absent, because there's
6 reference to it throughout, Dr. Trites, and that
7 is the sockeye, themselves, are predators, and so,
8 I think as you've put it in the report, it's the
9 law of the sea, at least from a fish's
10 perspective, is to eat or be eaten. And so I want
11 to throw this question back at you. If you look
12 at what seems to be driving the decline in
13 sockeye, it's either the fish are not getting
14 enough food to eat or they're being eaten by
15 something that's bigger than them, at least from
16 an ecosystem approach.

17 So can you hypothesize what it is, in your
18 knowledge? Is it that they're being eaten or that
19 they're not eating?

20 DR. TRITES: No, I don't have a good answer for you on
21 that. You know, perhaps one of the sort of
22 interesting observations is no matter how well our
23 marine mammals have been doing in British Columbia
24 where, for example, sea lions are increasing,
25 whereas you go to Alaska and they're on the
26 endangered specie list, compared to how poor our
27 salmon have done, whereas in Alaska they've done
28 extremely well.

29 And so conditions in the ocean have changed.
30 Something major happened in the mid to late '70s,
31 the ecosystem seemed to have flipped, and so it
32 would appear to be much more bigger than just a
33 simple predator-prey relationship. There's
34 something in the physical oceanography that's also
35 influenced in the dynamics that probably ties to
36 food, distribution, water temperatures. It's a
37 much bigger story than just simply a predator-prey
38 relationship.

39 Q All right. So you would then, if you were asked
40 to quantify what's causing the decline in the
41 sockeye for the last decade or so, you would say
42 that the predation aspect might be a contributing
43 factor but it's certainly not the sole factor?

44 DR. TRITES: We could certainly find no smoking gun, in
45 the sense of saying, yes, predation was the
46 driving factor. We recognize that it is a
47 contributing factor, but it would appear, at least

1 when we sit back and look at the whole North
2 Pacific, what's going on, that there's a much
3 bigger force at play.
4 MR. LEADEM: Mr. Commissioner, I have 20 minutes
5 allotted to me, and it looks like it's the magic
6 hour, and I'll come back with my last 10 minutes
7 tomorrow morning, if that suits you?
8 THE COMMISSIONER: Thank you very much, Mr. Leadem.
9 THE REGISTRAR: The hearing is now adjourned until ten
10 o'clock tomorrow morning.

11
12 (PROCEEDINGS ADJOURNED TO THURSDAY, MAY 5,
13 2011, AT 10:00 A.M.)
14
15
16
17

18 I HEREBY CERTIFY the foregoing to be a
19 true and accurate transcript of the
20 evidence recorded on a sound recording
21 apparatus, transcribed to the best of my
22 skill and ability, and in accordance
23 with applicable standards.
24
25

26
27 _____
28 Pat Neumann

29 I HEREBY CERTIFY the foregoing to be a
30 true and accurate transcript of the
31 evidence recorded on a sound recording
32 apparatus, transcribed to the best of my
33 skill and ability, and in accordance
34 with applicable standards.
35
36

37 _____
38 Karen Acaster
39
40
41
42
43
44
45
46
47

I HEREBY CERTIFY the foregoing to be a true and accurate transcript of the evidence recorded on a sound recording apparatus, transcribed to the best of my skill and ability, and in accordance with applicable standards.

Irene Lim

I HEREBY CERTIFY the foregoing to be a true and accurate transcript of the evidence recorded on a sound recording apparatus, transcribed to the best of my skill and ability, and in accordance with applicable standards.

Karen Hefferland