

Commission of Inquiry into the Decline of
Sockeye Salmon in the Fraser River



Commission d'enquête sur le déclin des
populations de saumon rouge du fleuve Fraser

Public Hearings

Audience publique

Commissioner

L'Honorable juge /
The Honourable Justice
Bruce Cohen

Commissaire

Held at:

Room 801
Federal Courthouse
701 West Georgia Street
Vancouver, B.C.

Tuesday, June 14, 2011

Tenue à :

Salle 801
Cour fédérale
701, rue West Georgia
Vancouver (C.-B.)

le mardi 14 juin 2011



Errata for the Transcript of Hearings on June 14, 2011

| Page | Line | Error | Correction |
|------|------|----------------------|----------------------|
| 6 | 45 | reviewed | viewed |
| 11 | 1 | merging | emerging |
| 11 | 5 | disrupter | disruptor |
| 11 | 18 | medicinal wastewater | municipal wastewater |
| 17 | 15 | officially run | efficiently run |
| 20 | 9 | toxic | toxicant |
| 21 | 8 | ministered | minister |

APPEARANCES / COMPARUTIONS

| | |
|---|--|
| Patrick McGowan Micah Carmody | Associate Commission Counsel Counsel |
| Mark East Geneva Grande-McNeill | Government of Canada ("CAN") |
| Clifton Prowse, Q.C. Elizabeth Rowbotham | Province of British Columbia ("BCPROV") |
| No appearance | Pacific Salmon Commission ("PSC") |
| No appearance | B.C. Public Service Alliance of Canada Union of Environment Workers B.C. ("BCPSAC") |
| No appearance | Rio Tinto Alcan Inc. ("RTAI") |
| No appearance | B.C. Salmon Farmers Association ("BCSFA") |
| No appearance | Seafood Producers Association of B.C. ("SPABC") |
| No appearance | Aquaculture Coalition: Alexandra Morton; Raincoast Research Society; Pacific Coast Wild Salmon Society ("AQUA") |
| Tim Leadem, Q.C. | Conservation Coalition: Coastal Alliance for Aquaculture Reform Fraser Riverkeeper Society; Georgia Strait Alliance; Raincoast Conservation Foundation; Watershed Watch Salmon Society; Mr. Otto Langer; David Suzuki Foundation ("CONSERV") |
| No appearance | Area D Salmon Gillnet Association; Area B Harvest Committee (Seine) ("GILLFSC") |

APPEARANCES / COMPARUTIONS, cont'd.

| | |
|------------------------------|--|
| No appearance | Southern Area E Gillnetters Assn. B.C. Fisheries Survival Coalition ("SGAHC") |
| No appearance | West Coast Trollers Area G Association; United Fishermen and Allied Workers' Union ("TWCTUFA") |
| No appearance | B.C. Wildlife Federation; B.C. Federation of Drift Fishers ("WFFDF") |
| No appearance | Maa-nulth Treaty Society; Tsawwassen First Nation; Musqueam First Nation ("MTM") |
| No appearance | Western Central Coast Salish First Nations: Cowichan Tribes and Chemainus First Nation Hwilitsum First Nation and Penelakut Tribe Te'mexw Treaty Association ("WCCSFN") |
| Anja Brown Crystal Reeves | First Nations Coalition: First Nations Fisheries Council; Aboriginal Caucus of the Fraser River; Aboriginal Fisheries Secretariat; Fraser Valley Aboriginal Fisheries Society; Northern Shuswap Tribal Council; Chehalis Indian Band; Secwepemc Fisheries Commission of the Shuswap Nation Tribal Council; Upper Fraser Fisheries Conservation Alliance; Other Douglas Treaty First Nations who applied together (the Snuneymuxw, Tsartlip and Tsawout); Adams Lake Indian Band; Carrier Sekani Tribal Council; Council of Haida Nation ("FNC") |
| No appearance | Métis Nation British Columbia ("MNBC") |

APPEARANCES / COMPARUTIONS, cont'd.

| | |
|---------------|---|
| No appearance | Sto:lo Tribal Council Cheam Indian Band ("STCCIB") |
| No appearance | Laich-kwil-tach Treaty Society Chief Harold Sewid, Aboriginal Aquaculture Association ("LJHAH") |
| No appearance | Musgamagw Tsawataineuk Tribal Council ("MTTC") |
| No appearance | Heiltsuk Tribal Council ("HTC") |

TABLE OF CONTENTS / TABLE DES MATIERES

| | PAGE |
|-----------------------------------|---|
| PANEL NO. 44 | |
| PETER ROSS (Affirmed) | |
| In chief by Mr. McGowan | 1/2/5/6/7/11/12/13/14/15/ 17/18/21/22/23/25/29/30/33/ 34/36/38/40 |
| Ruling on qualifications | 2 |
| Cross-exam by Mr. East | 42/45/51 |
| Cross-exam by Mr. Leadem | 57/62/63/76 |
| Cross-exam by Ms. Brown | 78/85/87/89 |
| Questions by the Commissioner | 91/92 |
| GRAHAM VAN AGGELEN (Affirmed) | |
| In chief by Mr. McGowan | 1/2/4/5/7/8/10/11/15/16/ 19/20/26/40 |
| Ruling on qualifications | 3 |
| Cross-exam by Mr. East | 45/47 |
| Cross-exam by Mr. Prowse | 55 |
| Cross-exam by Mr. Leadem | 61/63/68/73 |
| Cross-exam by Ms. Brown | 83/88 |
| Questions by the Commissioner | 91/92 |
| KEN ASHLEY (Affirmed) | |
| In chief by Mr. McGowan | 1/3/14/15/18/19/25/26/27/ 28/29/32/34/35/36 |
| Cross-exam by Mr. East | 44/46/53 |
| Cross-exam by Mr. Leadem | 60/62/69/75 |
| Cross-exam by Ms. Brown | 86 |
| Questions by the Commissioner | 94 |
| Cross-exam by Mr. Prowse (cont'd) | 95 |

EXHIBITS / PIECES

| <u>No.</u> | <u>Description</u> | <u>Page</u> |
|------------|---|-------------|
| 1043 | <i>Curriculum Vitae</i> of Dr. Peter Ross | 2 |
| 1044 | <i>Curriculum Vitae</i> of Graham van Aggelen | 3 |
| 1045 | <i>Curriculum Vitae</i> of Dr. Ken Ashley | 4 |
| 1046 | Toxicological Evaluation of Emerging Chemicals in Municipal Wastewater Effluents Within the Georgia Basin, by Graham van Aggelen, et al, March 31, 2009 | 8 |
| 1047 | Wastewater Systems Effluent Regulations, Regulatory Impact Analysis Statement, March 20, 2010 | 22 |
| 1048 | Memo to R. Brown from R.W. Macdonald, et al, re Collective Thoughts on the Wastewater System Effluent Regulations, dated February 2010 | 23 |
| 1049 | Proposed Integrated Liquid Waste and Resource Mgmt, May 2010 [Metro Vancouver] | 32 |
| 1050 | Letter from Lake (BC MOE) to Jackson (MetroVan) re Liquid Waste Mgmt Plan, with revisions, May 30, 2011 | 33 |
| 1051 | Liquid Waste Mgmt Plan, Feb 2001 [Greater Vancouver Regional District] | 35 |
| 1052 | The State of Municipal Water Effluents in Canada, 2001 [Environment Canada] | 55 |
| 1053 | Ross, Large and growing environmental reservoirs of Deca-BDE present an emerging health risk for fish and marine mammals, updated draft | 64 |
| 1054 | Ashley, Contaminants in Sewage, Presentation for Speaking for the Salmon - Summit on FRSS, March 31, 2010 [PowerPoint] | 77 |
| 1055 | GVS&DD Monitoring Results for Operating Certificate, Iona Island WWTP Effluent, June-October 2010 | 77 |

1
PANEL NO. 44
In chief by Mr. McGowan

1 Vancouver, B.C./Vancouver
2 (C.-B.)
3 June 14, 2011/le 14 juin 2011
4

5 THE REGISTRAR: Order. The hearing is now resumed.

6 MR. MCGOWAN: Good morning, Mr. Commissioner. It's
7 Patrick McGowan. With me is Micah Carmody,
8 counsel for the Commission. Today's hearings will
9 focus on the topic of municipal wastewater. We
10 have three panellists with us this morning.
11 Starting on my left, Dr. Ken Ashley, moving to the
12 right, in the centre seat, Dr. Peter Ross, and on
13 the far right, Graham van Aggelen. Mr. Ashley is
14 not affiliated with any government department,
15 presently; Dr. Ross is with the Department of
16 Fisheries and Oceans; Mr. Van Aggelen is with
17 Environment Canada.

18 Perhaps we could have the panellists sworn.
19

20 PETER ROSS, Affirmed.
21

22 GRAHAM VAN AGGELEN, Affirmed.
23

24 KEN ASHLEY, Affirmed.
25

26 THE REGISTRAR: Would you state your name, please?

27 DR. ASHLEY: Ken Ashley.

28 DR. ROSS: Peter Ross.

29 MR. VAN AGGELEN: Graham van Aggelen.

30 THE REGISTRAR: Thank you. Counsel.

31 MR. MCGOWAN: Thank you. Mr. Commissioner, I'm going
32 to seek to have each of these witnesses qualified
33 as experts and I'm going to start with Dr. Ross.
34 I'm going to seek to have Dr. Ross qualified as an
35 expert in aquatic toxicology.
36

37 EXAMINATION IN CHIEF BY MR. MCGOWAN:
38

39 Q Dr. Ross, you have a PhD in ecotoxicology which
40 you obtained in 1995?

41 DR. ROSS: That's correct.

42 Q You also have a masters degree and a bachelors
43 degree in biology?

44 DR. ROSS: Correct.

45 Q Your present position is with the Department of
46 Fisheries and Oceans, where you are an
47 environmental toxicologist, based at the Institute

June 14, 2011

1 of Ocean Sciences?

2 DR. ROSS: That's correct.

3 Q You've been employed by DFO since 1999?

4 DR. ROSS: Correct.

5 Q In your area of research interest, is
6 ecotoxicology and the risks to aquatic life
7 associated with certain chemicals?

8 DR. ROSS: That's right.

9 MR. MCGOWAN: And on the screen we have Dr. Ross's C.V.

10 I'm going to suggest that be the next exhibit.

11 THE REGISTRAR: Exhibit 1043.

12

13 EXHIBIT 1043: *Curriculum Vitae* of Dr. Peter
14 Ross

15

16 MR. MCGOWAN: And Mr. Commissioner, based on that
17 examination, I'm going to seek to have this
18 witness qualified as an expert in aquatic
19 toxicology, and subject to any other questions
20 that might be posed.

21 THE COMMISSIONER: Thank you very much.

22 MR. MCGOWAN: Next, Mr. van Aggelen. I'm going to seek
23 to have him qualified as an expert in toxicology
24 and toxicogenomics.

25 Q Sir, you're presently the head of the
26 Environmental Toxicology Section in the
27 Environment -- in the Pacific Environmental
28 Sciences Centre of Environment Canada?

29 MR. VAN AGGELEN: That's correct.

30 Q You've held that position since 2000?

31 MR. VAN AGGELEN: Yes, sir.

32 Q And you've been with Environment Canada since
33 1996?

34 MR. VAN AGGELEN: That's correct.

35 Q Prior to that, you worked with the B.C. Ministry
36 of the Environment for a number of years?

37 MR. VAN AGGELEN: That's correct.

38 Q You hold a bachelor of science in zoology and
39 biological sciences?

40 MR. VAN AGGELEN: That's correct.

41 Q And through your experience you've developed
42 expertise in the testing of effluents for toxicity
43 to marine and freshwater species?

44 MR. VAN AGGELEN: That's correct.

45 Q I wonder if you could, just very briefly, tell the
46 Commissioner what toxicogenomics is.

47 MR. VAN AGGELEN: Toxicogenomics is the study of the

1 gene expression within aquatic organisms.
2 Specifically, I work with trout and other
3 salmonids. We look at the gene structure and the
4 molecular structure to look at potential effects
5 as a result of ultra low level contaminants.

6 MR. MCGOWAN: And if we can have Mr. van Aggelen's C.V.
7 marked as the next exhibit.

8 THE REGISTRAR: Exhibit Number 1044.

9

10 EXHIBIT 1044: *Curriculum Vitae* of Graham van
11 Aggelen
12

13 MR. MCGOWAN: Mr. Commissioner, based on that
14 examination, I seek to have him qualified as an
15 expert in toxicology and toxicogenomics.

16 THE COMMISSIONER: Yes, thank you very much.

17 MR. MCGOWAN: Thank you. And finally on the
18 qualifications, Mr. Commissioner, we have Dr.
19 Ashley, who I'm seeking to qualify as an expert in
20 three areas: environmental engineering; aquatic
21 ecology; and limnology.

22 Q Now, Dr. Ashley, I think the Commissioner has
23 heard a fair bit about environmental engineering
24 and aquatic ecology, but I'm not sure the term
25 limnology has come up yet. Could you just briefly
26 explain to the Commissioner what that is?

27 DR. ASHLEY: Limnology is the scientific study of
28 inland waters, freshwater oceanography, for lack
29 of a better term.

30 Q Okay. Thank you. You have a PhD in environmental
31 engineering?

32 DR. ASHLEY: Correct.

33 Q You have two masters degree; one in environmental
34 engineering and one in aquatic ecology?

35 DR. ASHLEY: Correct.

36 Q You're presently an instructor at BCIT in the
37 Ecological Restoration Program?

38 DR. ASHLEY: Part-time, yes.

39 Q You're an adjunct professor at UBC in the civil
40 engineering department?

41 DR. ASHLEY: Correct.

42 Q And you also work for Northwest Hydraulic
43 Consultants as a senior scientist?

44 DR. ASHLEY: Correct.

45 Q And you've previously worked for both the GVRD and
46 the Province of British Columbia?

47 DR. ASHLEY: Correct.

1 Q Okay. And is that Dr. Ashley's C.V. on the
2 screen?
3 MR. LUNN: It is. There's personal information on the
4 top of the page --
5 MR. MCGOWAN: Fair enough.
6 MR. LUNN: So I've scrolled it down.
7 MR. MCGOWAN: Thank you. I'm going to suggest that
8 this exhibit be the next -- that this C.V. be the
9 next exhibit, Mr. Commissioner, and perhaps, with
10 your leave, we could, at a convenient time,
11 replace the exhibit with one with the personal
12 information blacked out.

13 THE REGISTRAR: That will be Exhibit 1045.

14
15 EXHIBIT 1045: *Curriculum Vitae* of Dr. Ken
16 Ashley
17

18 MR. MCGOWAN: Thank you.

19 Q Mr. van Aggelen, I'm going to start with some
20 questions to you about the Canadian Pacific
21 Environmental Sciences Centre. Could you just
22 briefly explain to the Commissioner what that is
23 and where it is situated within Environment
24 Canada?

25 MR. VAN AGGELEN: The Pacific Environmental Science
26 Centre is the Pacific and Yukon Regions key
27 laboratory for toxicological and analytical
28 chemistry analysis. It forms the, what I would
29 call, the Pacific anchor for Environment Canada's
30 network of regulatory laboratories. There's
31 approximately 55 scientists and technicians that
32 work at the centre in North Vancouver. The lab is
33 divided up into three principal components.
34 There's a toxicology group, a chemistry group,
35 which is subdivided into organic and inorganic
36 chemistry, and there's a water quality monitoring
37 group that's responsible for shellfish water
38 quality monitoring sites.

39 Q And you're the head of the toxicology section,
40 correct?

41 MR. VAN AGGELEN: That's correct.

42 Q And could you just briefly explain to the
43 Commissioner the type of testing conducted by your
44 unit?

45 MR. VAN AGGELEN: The principal function of my
46 laboratory is to test effluents and materials that
47 are a federally-responsible -- are federally-

- 1 responsible discharges, particularly those that
2 are with respect to **Fisheries Act** 36(3)
3 provisions, essentially end-of-pipe discharge into
4 waters that are federally controlled, or to waters
5 frequented by salmon or transboundary waters.
- 6 Q Now, I understand that to the extent there's a
7 genomics program within Environment Canada, it's
8 sort of run off the side of your desk within the
9 toxicology program; is that a fair --
- 10 MR. VAN AGGELEN: That's correct. Genomics,
11 particularly toxicogenomics, or aquatic
12 toxicogenomics is an emerging field in
13 environmental toxicology, and it shows great
14 promise for furthering our understanding of how
15 chemicals or complex mixtures affect aquatic
16 organisms, in particularly my area of interest is
17 how they affect fish, and we look specifically at
18 key tissues within the fish after they've been
19 exposed to certain contaminants or complex
20 mixtures.
- 21 Q Okay. What percentage of the testing that you do
22 in your facility is end-of-pipe testing? So
23 there's traditional regulatory testing as opposed
24 to testing to support your genomics work.
- 25 MR. VAN AGGELEN: I would say most probably 90 percent
26 is end-of-pipe discharge.
- 27 Q Okay. Now, the end-of-pipe testing focuses on
28 acute lethality; correct?
- 29 MR. VAN AGGELEN: That's correct. Environment Canada
30 has a national accredited test for measuring the
31 96-hour rainbow trout test for measuring acute
32 lethality to effluents.
- 33 Q And one of the advantages of genomics is its
34 potential to allow you to assess sublethal
35 impacts, correct?
- 36 MR. VAN AGGELEN: Yes, where genomics comes into play
37 is that the end points associated with a molecular
38 expression, you can look at those effluents that
39 are not acutely toxic that don't kill the fish
40 outright, but there may be other levels or other
41 concentrations of chemicals or contaminants in
42 that mixture that may be having effects at the
43 molecular structure.
- 44 Q Thank you. Dr. Ross, you're at the Department of
45 Fisheries and Oceans Institute of Ocean Sciences,
46 correct?
- 47 DR. ROSS: That's correct.

1 Q And you have a particular expertise and much of
2 your research is focused on marine mammal
3 toxicology, correct?

4 DR. ROSS: That's correct.

5 Q And while you do have experience doing fish
6 toxicology, it's not your primary area; is that
7 correct?

8 DR. ROSS: I would say that's fair. We do have a very
9 productive collaboration with my good colleague,
10 Dr. Chris Kennedy at Simon Fraser University, and
11 we've been looking at the effects of currently
12 used pesticides on salmon health with a number of
13 different research directions there, and we've
14 published about nine articles on that subject
15 matter.

16 Q Okay. Does the Department's Pacific Region have a
17 toxicologist whose research regularly focuses on
18 fish and whose area of expertise that is,
19 primarily?

20 DR. ROSS: No.

21 Q Is there such an expert in another region in the
22 Department in Canada?

23 DR. ROSS: We do have a scattering of toxicologists
24 across the country; one in Winnipeg, one or two in
25 the St. Lawrence and Quebec region, one in Nova
26 Scotia, and one in Newfoundland.

27 Q Does the absence of a dedicated fish toxicologist,
28 does that lead to a gap in either expertise or
29 attention that's paid to this matter, such as this
30 in the Pacific Region?

31 DR. ROSS: Well, I think it's certainly hampering our
32 efforts to understand whether contaminants present
33 a risk to what's happening to sockeye salmon at
34 present. Not having that expertise means that we
35 really don't have the opportunity to conduct
36 research to explore the matter in depth.

37 Q Okay. In the Pacific Region presently, is the
38 Department involved in monitoring or researching
39 to determine the potential impacts of municipal
40 wastewater on aquatic life, generally, or more
41 specifically on fish or salmon?

42 DR. ROSS: No. I think in general terms, following up
43 on my colleague, Mr. van Aggelen's comments about
44 division of responsibilities, we at the Department
45 of Fisheries and Oceans have largely reviewed
46 s. 36 things as the purview of Environment Canada,
47 and there has been an interest in the effects of

1 contaminants on the health of biota within DFO,
2 but that's largely related to cumulative impacts
3 or non-point source impacts.

4 Q Okay. Is there anyone at the Department who's
5 tasked with assessing the actual impact of
6 contaminants in municipal wastewater on Fraser
7 salmon --

8 DR. ROSS: No.

9 Q -- or Fraser sockeye?

10 DR. ROSS: No.

11 Q Is there such a person at Environment Canada, Mr.
12 van Aggelen?

13 MR. VAN AGGELEN: Specifically, there are folks --
14 there are scientists within the National Research
15 Centre in Burlington that are part of doing
16 research, but specifically on the coast in Pacific
17 and Yukon regions, there's not a single individual
18 that is solely responsible for sockeye.

19 Q Is there a group who is tasked with assessing the
20 impact of contaminants in municipal wastewater on
21 the salmon in the Pacific Region?

22 MR. VAN AGGELEN: Not specifically.

23 Q Now, we heard a little bit, a moment ago, about
24 the genomics program that you're spending a small
25 portion of your time dealing with. Can you tell
26 the Commissioner how that's funded?

27 MR. VAN AGGELEN: The genomics program was largely --
28 is largely funded by an Environment Canada-funded
29 program. The acronym is STAGE, Strategic
30 Technologies for Advancement of Genomics in the
31 Environment. And that's a competitive process
32 within Environment Canada where each fiscal year a
33 submission into -- to apply for funds to continue
34 on with genomics-related work in my lab has to be
35 done.

36 I've been successful over the last seven
37 years in getting funds to build up capacity and
38 expertise within the lab, and also have been able
39 to partner with and collaborate with individuals
40 at the University of Victoria and Waterloo, and
41 also in advancing our techniques and methods
42 within my lab is to say create capacity and
43 expertise in conducting genomic experiments.

44 Q One of the genomics experiments which you have
45 conducted resulted in a report titled,
46 Toxicological Evaluation of Emerging Chemicals in
47 Municipal Wastewater Effluents Within the Georgia

1 Basin, correct?

2 MR. VAN AGGELEN: That's correct.

3 MR. MCGOWAN: Mr. Lunn, if you could bring up Tab 7
4 from our list, please.

5 Q So this is a report which did some work with
6 effluent from the Annacis waste treatment plant
7 and liquid waste from the Capital Regional
8 District, correct?

9 MR. VAN AGGELEN: That's correct.

10 Q I wonder if you could just -- perhaps before we
11 get into it, we could mark this as the next
12 exhibit?

13 THE REGISTRAR: Exhibit 1046.

14
15 EXHIBIT 1046: Toxicological Evaluation of
16 Emerging Chemicals in Municipal Wastewater
17 Effluents Within the Georgia Basin, by Graham
18 vanAggelen, et al, March 31, 2009
19

20 MR. MCGOWAN:

21 Q And the samples that were taken for this study
22 were taken in 2004 to 2006; is that correct?

23 MR. VAN AGGELEN: The samples were collected over, I
24 believe, three sampling periods, three years, and
25 there was a fall and roughly a summer campaign, if
26 you want to call it that, where we looked at
27 summer and winter variations in the effluent.

28 Q Could you explain to the Commissioner, briefly,
29 what the objectives of this research project were?

30 MR. VAN AGGELEN: This project was funded under
31 regionally -- an Environment Canada regionally-
32 funded program, the Georgia Basin Action Plan, and
33 again, through a competitive process, submitted in
34 a proposal to use the methods that we've been
35 working on, the genomic methods, to look and see
36 if the techniques that we've been developing would
37 lend themselves to looking at emerging chemicals
38 of concern contained within municipal wastewater
39 effluent.

40 The study looked at non-lethal -- started
41 with non-lethal concentrations, so those
42 concentrations will recall the -- the acronym is
43 NOEC, No Effect Concentration. So fish were
44 exposed to the highest no effect concentration and
45 concentrations that engineers at GVRD and now
46 Metro provided us that were, I guess, relevant to
47 receiving water concentrations downstream of the

1 Annacis discharge.

2 So using established testing platforms, we
3 exposed Rainbow trout to various concentrations of
4 Annacis effluent for eight days. And then over
5 that eight day period fish were cropped or
6 dissected for -- their livers were dissected and
7 processed, and then a cohort of those same animals
8 that had been exposed to the effluent were put
9 into clean water, a depuration phase, if you want
10 to call it that, for a further eight-day period,
11 and the same thing was done; we excised out their
12 livers from the various concentrations then
13 performed genomic analysis on it.

14 The liver is a principal tissue that
15 biologists and toxicologists look at, because
16 largely any contaminants or -- get metabolized and
17 eventually end up in the liver. So the liver
18 becomes a principal target tissue to look at
19 potential endocrine effects or other effects as a
20 result of exposure to low level chemicals.

21 How we determine the impact of the chemicals
22 on the fish at the various concentrations is what
23 we -- we use what they call a gene chip or a gene
24 array, and on that array we have -- at that time
25 we were doing the study, we had what we call a
26 customized array. We had gone after specific gene
27 targets or specific families of genes, whether
28 they were stressor responsive genes, which are
29 called heat shock proteins. We went after genes
30 that were responsible for reproduction,
31 vitellogenin, and other types of general genes,
32 family groups that the literature and with which
33 we had a fairly good understanding of how,
34 biochemically, they responded to effects.

35 So cutting to the end point of this, at
36 various concentrations we saw different gene
37 groups showing what they call an up regulation or
38 down regulation, and all these expression levels
39 are compared back to a controlled cohort that had
40 the same testing conditions as with which the
41 exposure concentrations, but obviously they just
42 weren't exposed to any of the potential toxicants.
43 So all the expression levels we saw are normalized
44 back to the control group so that anything we
45 reported was relative or as a consequence of
46 exposure to the various toxicants.

47 So over the eight -- the 16-day period, we

1 saw certain gene groups come up, but for the most
2 part, they returned back to background --
3 background levels after the -- when compared to
4 the depuration phase. But what we did see was
5 that there was spikes in immunoresponsive genes,
6 which would be -- made good sense because, as I
7 say, the fish were in concentrations of municipal
8 wastewater levels that would have triggered
9 immunoresponsive processes to combat any potential
10 infections and things.

11 But the bottom line is that after the
12 exposures, the majority of the levels of the gene
13 expression returned to background levels, but
14 there was certain levels of the vitellogenin
15 proteins that did stay up. And the interesting
16 thing about vitellogenin is it's a precursor to
17 egg production in females, and the fish that we
18 use were rainbow trout, and they're sexually
19 immature and they're juveniles. So you should not
20 be seeing vitellogenin showing up in two cases;
21 (a) at sexually mature fish, and also the fact
22 that it was pretty ubiquitous across all the fish
23 that we looked at, so it was interesting from that
24 perspective that we saw the expression profiles
25 that we did.

26 But trying to relate that to, you know,
27 receiving water impacts, a straight line
28 correlation could not be driven -- drawn from our
29 report.

30 Q Okay. Thank you for that helpful explanation. Is
31 understanding the potential impacts, sublethal
32 impacts or cumulative impacts of certain
33 chemicals, perhaps especially some of the emerging
34 chemicals in municipal wastewater on fish, is this
35 research and the continuation of research like
36 this important to furthering that understanding?

37 MR. VAN AGGELEN: In my opinion, I think it's critical,
38 because historically the tests that we use in a
39 regulatory arena and those used by proponents for
40 complying with a regulation, the standard test is
41 the acute lethality test. And the majority of
42 tests have -- will pass that test, because there
43 is such strong enforcement on that. So they will
44 not fail the traditional 96-hour LC50 test, which
45 is a test of lethality.

46 But we know that certainly within the complex
47 mixtures of various industrial compounds,

1 particularly in wastewater, there is merging
2 chemicals of concern and ultra low levels that
3 have been demonstrated either individually or
4 individual scientists research that are indicative
5 and conclusively causing endocrine disrupter
6 effects, but also the fact that the ability of a
7 lot of these treatment systems do not or cannot
8 remove or treat a lot of these emerging chemicals
9 of concern.

10 As I mentioned, pharmaceuticals are just one
11 classification. There's another group of
12 chemicals that are currently being used in
13 commerce a thing called nanomaterials, or
14 nanocuticals, that the pharmaceutical industry is
15 using nanotechnology to further increase the
16 efficacy of delivery of other target compounds to
17 -- for drug treatments. But again, they're
18 excreted out into medicinal wastewater and
19 discharged into the effluents and that the
20 conventional fish bioassays will not be -- and the
21 end points associated with those bioassays will
22 not be able to detect those.

23 Q Okay. Let me ask you this: In the context, can
24 you relate the degree of funding that's provided
25 to you with your ability to continue or conduct
26 further research of the type that was conducted in
27 this study?

28 MR. VAN AGGELEN: With respect to genomics, the stage
29 program, as I previously mentioned, is the only
30 source of genomic funding within Environment
31 Canada and that at the end of this fiscal year is
32 coming to a close and a new program is thought to
33 be on -- coming forward, but it will be with the
34 five science-based departments in Environment
35 Canada, so a greater -- and the emphasis is not on
36 aquatic environmental toxicology.

37 Q Okay. Thank you. Dr. Ross, I wanted to ask you
38 about a study or a piece of research you did.
39 Exhibit 833, please, Mr. Lunn. In 2002, Dr. Ross,
40 you did some research with respect to late-run
41 sockeye and produced a paper with others, titled,
42 Late-Run Sockeye at Risk: An Overview of
43 Environmental Contaminants in the Fraser River
44 Salmon Habitat?

45 DR. ROSS: That's correct.

46 Q That's the paper we see on the screen there?

47 DR. ROSS: Yes.

1 Q And this was, as opposed to primary research,
2 really a literature-based risk assessment,
3 correct?

4 DR. ROSS: Yes, that's correct. We felt a little bit
5 blind and in the dark with regard to what was
6 happening with the late-run sockeye crisis that
7 started in the late 1990s and was leading to the
8 loss of tens of millions of fish over a number of
9 years, and it was an altered behavioural or return
10 migration phenomena that was taking place and it
11 was the subject of considerable concern, of
12 course, to the Department of Fisheries and Oceans,
13 the Pacific Salmon Commission, and other parties,
14 and we thought it would behove us to at least get
15 a cursory risk assessment conducted to try to give
16 a little bit of guidance on possible chemical
17 concern in the Fraser Valley that might be leading
18 this effect.

19 We have 23,000 chemicals on the domestic
20 substances list in Canada. Many of those
21 chemicals are either used or end up in Fraser
22 River salmon habitat. And to understand and/or
23 prioritize which of those chemicals might present
24 a risk or a significant risk, it was something
25 that we felt we could at least try to do with this
26 kind of approach.

27 Q Now, we'll get into the specific chemicals in a
28 second, but just so the Commission understands, a
29 number of the chemicals that attracted your
30 attention in this study, one of the sources of
31 them is municipal waste; is that correct?

32 DR. ROSS: That would be correct.

33 Q And within the body of this study, and
34 specifically in the abstract, you summarize your
35 conclusions and your recommendations for future
36 research, correct?

37 DR. ROSS: Yes.

38 Q And you recommend that if we're looking at
39 wastewater research in a couple of areas, the
40 first was a need for further research of the
41 impact of exposure levels for certain key
42 chemicals, including persistent organic pollutants
43 and PBDEs; is that correct?

44 DR. ROSS: Yes.

45 Q You recommended further research with respect to
46 surfactants?

47 DR. ROSS: Yes.

1 Q And you also recommended further research with
2 respect to certain pharmaceuticals and personal
3 care products, correct?

4 DR. ROSS: Yes.

5 Q And are those all chemicals which can be found or
6 sourced in municipal wastewater?

7 DR. ROSS: With little doubt that would be the case.

8 Q And how have the recommendations which you made in
9 your 2002 paper been followed up on by the
10 Department of Fisheries and Oceans?

11 DR. ROSS: Well, I would say that some of the
12 recommendations have taken the form of specific
13 research projects undertaken by myself and
14 collaborators immediately. Some related to
15 current use pesticides and salmon. I would say,
16 yes, on that front. There's a very small funding
17 envelope within DFO nationally; \$300,000 a year
18 for providing information on biological impacts of
19 currently used pesticides in support of the Pest
20 Management Regulatory Agency.

21 Some other research projects either led by
22 myself and/or by my colleagues at the Institute of
23 Ocean Science, where there are two or three other
24 contaminant specialists; Dr. Ikonomou, who's done
25 some work on pharmaceuticals, Dr. Macdonald and
26 Dr. Johannessen, who do some work on transport and
27 fate of certain chemicals in the environment,
28 notably PCBs and PBDEs.

29 These three colleagues of mine do not look at
30 the effects of those chemicals, but they look at
31 where they end up and why they end there, and
32 environmental processes that might shape their
33 fate in the environment.

34 So I think it has -- some of the
35 recommendations have borne fruit, if you will, but
36 that there has been no impacts on envelopes,
37 funding envelopes, grants or priorities to direct
38 any of this research.

39 Q Okay. Thank you. I'm going to move away from you
40 research, now, and ask you some questions
41 specifically about the impacts of municipal
42 wastewater on Fraser sockeye. Perhaps since
43 you've got the microphone on, Dr. Ross, I'll start
44 with you.

45 Based on your experience and your research,
46 are you able to offer an opinion as to whether
47 municipal wastewater has harmful effects on Fraser

1 sockeye?

2 DR. ROSS: Well, as we have discussed already today, we
3 don't really have a mandate to look at end-of-pipe
4 discharges and effects on salmon, but certainly if
5 we look at some of the chemicals of concern in the
6 wastewater stream, there are a number of classes
7 of concern and I think the way I would capture it
8 is in the absence of direct -- much direct
9 evidence from the Fraser River system, we have to
10 rely on some of the literature from other parts of
11 the world, and then we have to serve a risk-
12 oriented approach to try and rank which types of
13 chemicals might present the greatest risk here.

14 I should point out that there have been
15 several examples from other parts of the world
16 that would underscore the potentially important
17 threat that wastewater treatment streams to
18 present to the health of fish. The widespread
19 feminization of fish has been taking place in the
20 United Kingdom. This is accentuated downstream of
21 municipal wastewater treatment plants and this has
22 been surmised and -- surmised to be largely due to
23 the estrogenic nature of the wastewater stream.

24 Estrogenic nature simply means the stream has
25 estrogenic potential and can feminize male fish or
26 alter reproductive health in both the male and
27 female fish. That estrogenic nature will come
28 from natural estrogens, from human wastes, from
29 agricultural animals, from birth control pills,
30 but also a lot of pharmaceuticals, synthetic musks
31 and a lot of the persistent bioaccumulative
32 chemicals as well.

33 So there are a lot of chemicals of potential
34 concern, I would say, in the Fraser River system
35 and certainly being released from wastewater
36 treatment plants.

37 Q Thank you. Dr. Ashley, I'm going to ask you to
38 weigh in on this question, and if you want to sort
39 of address it in two phases, both acute and
40 chronic impacts, I'm content for you to do that as
41 well, because I understanding your thinking might
42 go along those lines.

43 DR. ASHLEY: The question being relevant to the Fraser
44 River sockeye (indiscernible - overlapping
45 speakers) --

46 Q Yeah, municipal wastewater harmful effects, if you
47 believe there are any on Fraser sockeye.

1 DR. ASHLEY: Potentially there's acute toxicity issue
2 with some of the high concentrations of ammonia
3 that are discharged from a couple of the
4 wastewater treatment plants, the large one at
5 Annacis, which discharges about 500 mega litres
6 per day, and then the Lulu Island treatment plant,
7 they're known for having high ammonia discharge
8 concentrations. Those could potentially cause
9 acute toxicity issues. And the other ones, as Dr.
10 Ross has just said, his concern about emerging
11 endocrine disrupters because of this widespread
12 knowledge around the world, in the UK and in
13 Australia, of sex reversal.

14 Q Mr. van Aggelen, do you have anything to add to
15 those two answers?

16 MR. VAN AGGELEN: The only thing I would add to that is
17 that one of the things that researchers have
18 discovered is that the life stage with which the
19 organisms are exposed is critical. So developing
20 fish or early life stages are much more vulnerable
21 or thought to be more vulnerable to low level
22 exposures of pharmaceutical and personal care
23 products over collectively xenoestrogens, as Dr.
24 Ross mentioned.

25 Q Okay. I'm going to come back to the ammonia issue
26 in a second, Dr. Ashley, but before we come to
27 that issue, on the general issue of the harmful
28 effects of wastewater to the extent there are any
29 on Fraser sockeye, does the state of research
30 impact on the certainty with which you can offer
31 an opinion in this area?

32 DR. ASHLEY: I think there's a fair amount of published
33 literature that uses a weight of evidence approach
34 to say if there is an effect or not, so the answer
35 is, yes.

36 Q Dr. Ross?

37 DR. ROSS: Well, again, I speak with some ambivalence
38 just because of the lack of a tremendous amount of
39 research in this field in the Fraser Valley. But
40 if I imagined, as my colleague, Mr. van Aggelen
41 here had inferred, developing eggs and fry in the
42 headwaters down through smoltification at a very
43 small size and young age within a year in through
44 the Fraser River and estuary and out into the open
45 ocean. As I understand it, there are 90
46 wastewater treatment plants in the Fraser River
47 valley, and so if we're talking about point-source

1 discharges and certainly the high level public
2 concern about acute toxicity related to a single
3 point source, I think I would step back a little
4 bit and raise some concern about 90 point sources
5 of which certainly the lower Fraser estuary has
6 the largest by volume discharge, but I would point
7 to the cumulative exposure from a very young age
8 to some of these chemicals of concern throughout
9 their early life and certainly upon return.

10 And some of the chemicals we're talking about
11 we might characterize as persistent; that is, they
12 don't break down. Once they're released into the
13 Fraser or into the Strait of Georgia, they're
14 around for decades, if not centuries. These would
15 include the dioxins, the PCBs, the organic
16 chlorine pesticides, the PBDE flame retardants.

17 On the other side of the spectrum, we have
18 chemicals that might simplistically be viewed as
19 non-persistent or less persistent. But when I
20 look at 90 point-source discharges for wastewater
21 treatment plants, those non-persistent chemicals
22 become pseudo-persistent because they're
23 chronically being released and they're being
24 released at virtually every point along the
25 freshwater habitat for these migrating sockeye.

26 Q Thank you. Mr. van Aggelen, do you have anything
27 to add to that?

28 MR. VAN AGGELEN: No, I basically just echo with Dr.
29 Ross, is that it's the persistent low-level,
30 continuous exposure of a toxicant that can result
31 in -- certainly from molecular or sublethal
32 effects that could be seen, as I say, that that
33 would be -- that would my take, is that the sum
34 total of all the discharges incoming through with
35 low levels of various contaminants, could
36 contribute to the molecular or sublethal or
37 chronic effects that maybe we're seeing.

38 Q Okay. Dr. Ashley has identified ammonia as one
39 contaminant of particular concern. Do either of
40 the other two on the panel have any particular
41 contaminants or chemicals that they have
42 identified that are of particular concern and
43 think warrant special attention?

44 MR. VAN AGGELEN: I'll speak up. As I say, I think
45 that municipal wastewater there is, you know,
46 there's all kinds of things you could say for it,
47 but essentially it's a cocktail. It's a cocktail

1 of everything, whether it's -- particularly with
2 respect to drugs that people take, to things
3 people pour down the drain. I think that, you
4 know, most people view sewage treatment plants as
5 this magical place where everything gets cleaned,
6 and essentially the treatment of sewage really
7 hasn't changed all that much since, I think, the
8 Romans first introduced us to biological treatment
9 of human waste.

10 So essentially we can clean up the, you know,
11 conventional things like suspended solids,
12 biological oxygen demand, and to a certain degree
13 control for ammonia. And those, as I think Dr.
14 Ashley mentioned, are all acutely toxic
15 parameters. And those plants that are officially
16 run, or that have upgraded to treat for those,
17 what I would call conventional parameters of
18 toxicity and effluent quality, are in, you know,
19 in check, but as I say, the myriad of chemicals
20 that society puts into a treatment system is --
21 you can't -- you could spend all day listing them
22 and you still wouldn't come up with the sum total
23 of everything that's in a complex mixture.

24 Q Thank you. Dr. Ashley, you've identified the
25 Annacis treatment plant and the ammonia issue,
26 which we'll come to in a second. Dr. Ross, or Mr.
27 van Aggelen, are there particular waste treatment
28 facilities or discharge sites that you think
29 warrant particular attention or are of particular
30 concern to you, thinking from a Fraser sockeye
31 perspective?

32 DR. ROSS: Well, this is a little bit outside my line
33 of expertise, but I'd be looking for those
34 discharging the most in terms of volume, and then
35 I'd be looking at treatment level. That would be
36 two features. So Annacis Island certainly comes
37 to mind in that respect.

38 I'd also be looking at the vulnerability of
39 the receiving environment, because oftentimes when
40 one looks at sort of national minimum standards or
41 national rules of engagement, one's looking at a
42 certain common denominator and, unfortunately, a
43 lot of these plants -- well, none of these plants
44 discharge into the same body of water. There's
45 different dilution levels, there's different flow
46 rates, there's different depths and different
47 species inhabiting those environments. So those

1 are some features I'd be looking for with regard
2 to sort of a hazard-oriented approach to
3 identifying wastewater treatment discharge points
4 of concern.

5 Q And using the criteria you've concerned, are there
6 any particular plants that you identify as ones
7 that would perhaps raise red flags?

8 DR. ROSS: Well, the overwhelming number amongst those
9 90 wastewater treatment plants in the Fraser
10 Valley are secondary or even tertiary, and
11 secondary and tertiary will -- it doesn't solve
12 all the problems, but it does reduce the inputs of
13 a lot of harmful compounds, many of the ones we're
14 talking about today, with some variation, and we
15 can certainly speak to that a little bit, but when
16 we get down into the Fraser estuary where we have
17 primary treatment, obviously there is less
18 retention of some of the chemicals of concern to
19 sockeye salmon.

20 Q Okay. Thank you. I want to come back to the
21 ammonia issue now, Dr. Ashley, and I wonder if you
22 could just explain to the Commissioner what your
23 concern is with respect to the ammonia and the
24 waste treatment plants you identified?

25 DR. ASHLEY: As discussed, it's one of these older
26 contaminants that have been known for a long time
27 and it's just -- it's acutely lethal, depending on
28 the combination of pH and temperature. And the
29 design of the plants at Annacis and Lulu Island
30 are not particularly effective at converting it to
31 a non-toxic effect, and so they discharge at
32 fairly high concentrations in the effluent stream,
33 25, 30 milligrams per litre, and then that -- the
34 assumption is that that will be adequately diluted
35 to the point where it's non-acutely toxic to
36 salmonids. Now, that's based on an average.
37 Remember, the Fraser River flows downhill and then
38 it flows back in and then there's a slack tide
39 period, and the concern is that -- I've been out
40 during the wintertime when the Fraser's at its
41 minimum flow, down around 1,000 cubic metres per
42 second, at a slack tide and basically there's a
43 couple hour period where the effluent is just
44 pouring out and it's not moving one way or the
45 other. And so the concept of a dilution zone sort
46 of disappears temporally, and whether that would
47 be a stressor on salmonids that were resident at

1 the time. Obviously migrating sockeye are not
2 there at that time; this is more for resident fish
3 species in the area.

4 Q Okay. From a sockeye perspective, are you aware
5 of any evidence that links harmful effects from
6 ammonia from those two plants to Fraser sockeye?

7 DR. ASHLEY: No.

8 Q Okay. Is this something you've sort of surmised
9 from looking at the evidence of what's discharged
10 and knowing what you know about Fraser sockeye?

11 DR. ASHLEY: It's not specific to sockeye, it's just
12 that the concentrations are so high that the plant
13 is not particularly well designed to remove
14 ammonia and that Metro had to develop a separate
15 acute lethal toxicity test to deal with ammonia
16 because the standard Environment Canada test was
17 failing the LC50 test.

18 Q Okay. You addressed some of your concerns with
19 respect to ammonia and the Annacis plant at the
20 Speaking for the Salmon conference, correct?

21 DR. ASHLEY: That's correct.

22 MR. MCGOWAN: And Mr. Commissioner, just for your note,
23 Exhibit 12 contains that summary of the
24 presentations from that conference.

25 Q Now, Annacis Island, you've talked about the
26 different technologies, and just so we're clear,
27 when you refer to the different technologies,
28 you're referring to the fact that Annacis has a
29 trickling filter design as opposed to an activated
30 sludge design?

31 DR. ASHLEY: That's correct.

32 Q Okay. And is the retention period shorter with a
33 trickling filter design?

34 DR. ASHLEY: Yes. There's two types of retention. Co-
35 efficiency is one, is the hydrology retention
36 time, and one is the solids retention time, and
37 both are very short. In a trickling filter solids
38 contact design such as Annacis, is relative to an
39 activated sludge design.

40 Q Thank you. Mr. van Aggelen, Dr. Ashley referred
41 to a change to the LC50 test, the acute toxicity
42 test conducted on the ammonia -- or conducted with
43 respect to ammonia for Annacis, or to the
44 discharge with respect to Annacis. You know
45 something about that testing change?

46 MR. VAN AGGELEN: I wouldn't say change is an accurate
47 word. There was what they call a pH control

1 method that was developed, actually, out of my lab
2 to look at those effluents that where -- I have to
3 back up, Your Honour (sic), that in a conventional
4 bioassay for doing compliance monitoring, the test
5 solutions are aerated at a prescribed rate of 7.5
6 mils per minute per litre for the duration of the
7 bioassay, and the ammonia, as Dr. Ashley
8 mentioned, is a very complex -- chemically-complex
9 toxic, and that can, depending on the state of pH,
10 it can -- the toxicity can be hugely more toxic as
11 pH shifts.

12 And what we were seeing as a result of the
13 bioassay is that the aeration rate was driving off
14 or gassing off - I hate to get into scientific
15 jargon - but the carbonic acid ions in the water
16 solutions were being driven off and causing a
17 shift in the pH in the solution and it was
18 converting the total ammonia contained in the
19 solutions to a much more toxic state, which is
20 what they call the un-ionized ammonia
21 concentration. And this was causing, in some
22 instances, erroneous results. In other words,
23 samples were being shown to be more toxic than
24 with which they were.

25 So we developed a method to control the pH
26 drift in the bioassays by injecting carbon dioxide
27 to compensate for the carbonic acid that was being
28 driven off. So basically we're hence pH control.
29 So with this method we were able to determine if
30 there were acute toxic concentrations of ammonia
31 in the sample that would -- that weren't being
32 converted as a result of a pH shift. So
33 essentially a method to ensure that the method did
34 not report erroneous results and that if there was
35 entrained toxic levels of ammonia or un-ionized
36 ammonia, that we would pick it up in our
37 compliance test.

38 Q And that test both originally and as modified is
39 designed to test for acutely toxic effects
40 lethality?

41 MR. VAN AGGELEN: That's correct.

42 Q Okay. Thank you. I'm going to ask that you bring
43 up Exhibit 616A, please, Mr. Lunn. Dr. Ross, I'm
44 going to ask you some questions about this
45 document. It's a memorandum to the minister,
46 dated December 3rd, 2009, from the Department of
47 Fisheries and Oceans. Are you familiar with this

1 document?

2 DR. ROSS: Only through having seen it as an exhibit.

3 Q Okay. And you've now reviewed it?

4 DR. ROSS: Yes.

5 Q Okay. You've given us your views on the potential
6 connection between municipal wastewater and Fraser
7 sockeye. This is a memorandum designed --
8 addressed to the ministered, titled, Factors
9 Affecting the 2009 Fraser Sockeye Return. I
10 wonder if you could flip to the next page, please.
11 And zoom in on the Analysis/DFO Comment and then
12 number 1. That's sufficient as it is.

13 Okay, the first point under this heading
14 reads:

15
16 The following factors are unlikely to have
17 contributed to the poor 2009 return:

18
19 1. Pollution in the Fraser River.

20
21 Do you support that statement as written in this
22 memorandum?

23 DR. ROSS: Well, I guess I'd have to say that I haven't
24 seen any data that would empower me to suggest
25 that there's no evidence for pollution having
26 played a role.

27 Q Okay. Did you participate in the September 2009
28 DFO Science workshop?

29 DR. ROSS: Yes, I did.

30 Q And you made a presentation there?

31 DR. ROSS: Yes, I did.

32 Q And was your presentation consistent with the
33 message as articulated in this memorandum?

34 DR. ROSS: Well, I can't say that it is completely
35 consistent. I think my sense, from reading this
36 statement, Pollution in the Fraser River, there is
37 no record of any Fraser Basin-wide environmental
38 instant that could have impacted fish. It strikes
39 me that the author or authors are referring to an
40 absence of any reported spills or any broad-scale
41 impact. And the fact that with the sockeye
42 returns in 2009 being so poor, the author or
43 authors contributing to this were probably looking
44 at a simple A plus B equals C relationship.

45 That said, I remain fundamentally concerned
46 that environmental concentrations of a number of
47 endocrine disrupting compounds, both persistent

1 and non-persistent, can adversely affect the
2 health of sockeye at different life history stages
3 and may increase the risk of mortality through a
4 number of developmental means.

5 The absence of a spill or the absence of a
6 fish kill, to me, does not indicate the pollution
7 can -- can play no role in affecting the lifelong
8 health of a fish.

9 Q Thank you. Could we have Exhibit -- sorry, our
10 list of documents number 6, please.

11 Dr. Ross, you're familiar with the Canadian
12 Council of the Ministers of the Environment and
13 the work that they did to come up with a Canada-
14 wide strategy?

15 DR. ROSS: Yes.

16 Q And that's a collection of all the ministers of
17 the environment from each of the provinces and
18 Canada and they got together and worked out a
19 strategy to approach wastewater treatment in
20 Canada, correct?

21 DR. ROSS: Correct.

22 Q And speaking very generally, it was designed to
23 create consistent nationally-applied criteria and
24 rules for the treatment of wastewater?

25 DR. ROSS: Well, as I understand it, that is
26 essentially the hallmark of this CCME effort, a
27 national minimum standard to make things easy in
28 terms of design, operation monitoring and
29 assessment.

30 Q Okay. And what flowed out of that Canada-wide
31 strategy was the drafting of what are now proposed
32 wastewater system effluent regulations, correct?

33 DR. ROSS: Correct.

34 Q And those are somewhat analogous, although
35 certainly not identical to the regulations that
36 were crafted for the pulp and paper industry and
37 metal mining, correct?

38 DR. ROSS: Correct.

39 MR. MCGOWAN: We have the draft regulations with the
40 proposed, Mr. Commissioner. I'm going to suggest
41 those become the next exhibit.

42 THE REGISTRAR: Exhibit 1047.

43
44
45
46
47

EXHIBIT 1047: Wastewater Systems Effluent
Regulations, Regulatory Impact Analysis
Statement, March 20, 2010

1 MR. MCGOWAN:

2 Q Dr. Ross, you had the opportunity, along with some
3 of your colleagues, to review these draft
4 regulations and offer your comments on them?

5 DR. ROSS: Yes, we had a very short window to respond
6 to the proposed wastewater systems effluent
7 regulations.

8 Q And you and some of your colleagues reduced your
9 comments to writing?

10 DR. ROSS: That's correct.

11 Q And those were put together in a memorandum
12 addressed to a Robin Brown?

13 DR. ROSS: That's correct.

14 MR. MCGOWAN: If we could have our list of documents
15 number 30, please.

16 Q And this is a copy of that memorandum?

17 DR. ROSS: Yes, it is.

18 MR. MCGOWAN: Okay, if that could be the next exhibit,
19 please, Mr. Commissioner.

20 THE REGISTRAR: Exhibit 1048.

21

22 EXHIBIT 1048: Memo to R. Brown from R.W.
23 Macdonald, et al, re Collective Thoughts on
24 the Wastewater System Effluent Regulations,
25 dated February 2010
26

27

MR. MCGOWAN:

28 Q I wonder if you'd just take a moment now, Dr.
29 Ross, and address the Commissioner on any comments
30 you have on the proposed regulations and any
31 concerns you have about their adequacy, bearing in
32 mind that our focus is Fraser sockeye?

33 DR. ROSS: Well, I should start by stating that I
34 played no part in any of the CCME discussions or
35 deliberations leading up to the Canada-wide
36 strategy or the proposed wastewater systems
37 effluent regulations that are not yet in effect
38 but will take place under the guise of the
39 **Fisheries Act.**

40 So my only involvement on this file would be
41 this rather rapid turnaround review of the
42 proposed regulations, and as scientists do in
43 terms of peer evaluation, we look for gaps, data
44 gaps, and the like. I think my take-home message
45 was, while it's important to have a clear set of
46 terms of engagement and a national strategy and
47 national regulations would help in that front, I

1 did express the concern that a national minimum
2 standard does not necessarily upgrade the
3 performance of all wastewater treatment plants.

4 Certainly a minimum standard of secondary
5 will reduce the risk to some aspects of Fraser
6 River sockeye habitat, because an upgrade from
7 primary to secondary will reduce the release of a
8 number of contaminants of concern.

9 Specifically, the proposed regulations cover
10 the kinds of chemical constituents or activities
11 thereof that we've been worried about for dozens,
12 if not hundreds, of years by default, the
13 suspended solids, total residual chlorine, de-
14 ionized ammonia, and biological oxygen demand.
15 But they do not, in looking at these four primary
16 conventional pollutants, there is only fleeting
17 mention of site-specific impacts and concerns,
18 only fleeting mention of emerging chemicals of
19 concern, such as the flame retardants or the
20 pharmaceuticals. The reporting of monitoring data
21 appears fairly elementary, and the effects
22 monitoring ceases to be a requirement if there are
23 no adverse impacts observed after a certain number
24 of years.

25 So I did have some concerns and in looking at
26 government operations and the way in which we do
27 science to look at the broader risk to the
28 receiving environment associated with
29 contaminants, I think I hearken back to the
30 question of cumulative impacts. These regulations
31 were not designed to protect salmon. They were
32 not designed to prevent cumulative impacts
33 associated with multiple treatment plants. And
34 they were not really designed to deal with the
35 concerns that I have about bioaccumulation and
36 biomagnifications food webs. A lot of chemicals,
37 even present at very, very low concentrations, if
38 they're very persistent, they can get into food
39 webs and be found at very, very high
40 concentrations in some organisms of concern, such
41 as marine mammals.

42 So we did have a number of concerns about a
43 national minimum standard or this common
44 denominator, and we did have some concerns about
45 the fact that site-specific impacts would be
46 subject in some form to local regulatory
47 frameworks, but that that remained, to me, a

1 little bit unclear. There may be additional
2 ancillary discussions going on to render this a
3 little bit more seamless with regards to
4 provincial regulations and legislation or site-
5 specific requirements under a liquid waste
6 management plan for certain waste treatment
7 plants.

8 Q Thank you. There's just one other issue I wanted
9 to have your comment on, and that is the issue of
10 biosolids and the extent to which they're dealt
11 with by the regulations. Do you have a comment on
12 that?

13 DR. ROSS: Well, as I understand it, there is no
14 mention of what happens with the retained sludge,
15 and I do have a concern. If we're talking about
16 persistent contaminants, the PCBs, the dioxins,
17 the furans, the organic chlorine pesticides, the
18 perfluorinated compounds, the polybrominated
19 diphenyl ethers - those are flame retardants that
20 are only recently under the regulatory microscope
21 in North America - these are all very, very
22 persistent compounds. Upgrading blindly from
23 primary to secondary to tertiary does not degrade
24 these compounds, does not breakdown these
25 compounds, but it does retain many of these
26 compounds, because these chemicals are all
27 persistent and they bind to organic materials or
28 to fats in the food web.

29 The fact that they're so persistent means
30 there's only one way to get rid of them, and
31 that's with incineration at 1,000 degrees Celsius
32 or higher. The half life of most of these
33 chemicals in the environment is in the order of
34 hundreds of years. If sludge is being retained,
35 biosolid is being retained and transferred to
36 agricultural lands, forestry lands, mine
37 reclamation projects, or landfills, those
38 chemicals are maybe not coming out the pipe
39 anymore, but they are entering the environment;
40 they're simply being cycled to another part of
41 what is likely to be Fraser River sockeye habitat.

42 Q Thank you. Dr. Ashley, you've heard Dr. Ross's
43 comments on the proposed regulations. I wonder if
44 you have any observations to add?

45 DR. ASHLEY: I agree with everything he said. I think
46 there -- obviously the country needs a national
47 standard, because there's many parts of Canada

1 that have either no wastewater treatment, like
2 Victoria for example, or places in the north that
3 have fairly rudimentary, but to say that a
4 movement to secondary is going to solve any -- all
5 the concerns about potential contamination in the
6 environment is not true.

7 Q Okay. Does that conclude your comments?

8 DR. ASHLEY: We'll probably get back to this one more
9 later?

10 Q Yes, we will come back to the different treatment
11 levels and I'll allow you to offer your opinion on
12 what's advisable in that regard.

13 Mr. van Aggelen, do you have anything to add
14 with respect to the proposed regulations?

15 MR. VAN AGGELEN: No, I concur with Dr. -- Dr. Ross
16 mentioned, just with the added bit that our
17 understanding of how to treat the chemicals is not
18 well understood, and as Dr. Ashley mentioned,
19 blindly saying or going to secondary or tertiary
20 treatment is not the cure. It's better, but it's
21 not -- for the 21st Century knowledge of chemicals
22 as we know it now, secondary and tertiary is not
23 going to take care of our problems, and as we were
24 talking about biosolids, yeah, I have grave
25 concerns about how we are regulating or
26 administering biosolids as a soil additive.

27 And as Dr. Ross mentioned, I think it's just
28 a means of transferring the potential toxicants
29 from one source to another, and subject to, you
30 know, rain events and other erosional events, it
31 could liberate and start the migration of low
32 level contaminants that have been bound up in the
33 biosolids, and science has proven that there's
34 certainly some of these emerging chemicals of
35 concern have a high binding affinity to the
36 particulate matter in treatment processes and that
37 is all part and parcel of biosolids.

38 Q Thank you. Dr. Ashley, you have an engineering
39 background, so I'm going to address the next
40 questions primary to you. You mention Capital
41 Regional District, or Victoria, which has very
42 limited waste treatment, not even to the primary
43 level, as I understand it, we have Iona, which has
44 primary, and then there's some different secondary
45 options available; activated sludge and trickling
46 filter.

47 I'm wondering if you can walk the

1 Commissioner through sort of the upgrade from
2 nothing to primary and primary to secondary and
3 secondary to tertiary, and explain to him what is
4 gained in terms of removal of contaminants or
5 matters of concern to sockeye with each of the
6 upgrades.

7 DR. ASHLEY: All right. We'll use the conventional
8 terminology, it was this primary, secondary,
9 tertiary, but I'd like to mention that there is,
10 within the engineering circles, there's different
11 ways of looking at that, and I'll bring that in at
12 the close of this section.

13 Capital Regional District basically just has
14 a screen mesh, and so that's called preliminary
15 screening, so basically it's to catch rags,
16 sticks, things like that that are fairly large
17 scale, and that's basically it. So that's
18 preliminary treatment. Those exist in all
19 wastewater treatment plants just as a matter of
20 protecting pumps and equipment downstream within
21 the plant so they don't get jammed up, and the
22 rest of the effluents just sail right through. So
23 it's basically a coarse screen.

24 Primary treatment is basically designed to
25 retain the effluent for a certain period of time
26 and settle out the suspended solids and so it has
27 a settling rate of around 60 to 70 percent of the
28 suspended solids settle out, and around 30 to 40
29 percent of the biochemical oxygen, that's
30 carbonaceous material in the wastewater that
31 consumes oxygen in the receiving environment.

32 The movement to secondary, it's -- the
33 containment is held in a plant longer and so the
34 suspended solids removal percentage goes up to
35 around 90 percent. The removal of BOD5 goes up to
36 60, 70, even 80 percent in good plants, but
37 basically all of the remaining pollutants continue
38 to sail right through and be discharged.

39 If one moves to tertiary, the conventional
40 sort of designation for tertiary is that it
41 removes nitrogen and phosphorous, and so that was
42 a tertiary plant. So basically those were a
43 secondary plant with an add-on for nutrient
44 removal.

45 And the next step beyond that, not seen very
46 often in Canada, is called a quaternary treatment
47 plant, where it would actually remove some of

1 these chemicals of concern. That's used in places
2 like Israel, in Southern California, San Diego,
3 where they're water short.

4 The term that's emerging, now, is -- within
5 the engineering circles, is often to refer to
6 conventional wastewater treatment, because
7 secondary treatment is so normal these days in
8 many parts of the world. I mean, it was
9 discovered in, I think, 1910 was the first
10 activated sludge plant. It's referred to the term
11 "advanced wastewater treatment" and used the best
12 available technology for the day.

13 And so those two terms can be used
14 interchangeably, but that's basically the
15 difference between preliminary, primary, secondary
16 tertiary, quaternary, and then the sort of
17 discussion to move to advanced wastewater
18 treatment plant using all of the technology that's
19 available today and proven.

20 Q Okay. And in terms of the cost differential, what
21 is the cost differential between sort of secondary
22 or moving to tertiary or from secondary to best
23 available technology?

24 DR. ASHLEY: It depends on how the plant is designed.
25 Some plants are very adaptable towards upgrade to
26 tertiary, conventional secondary treatment
27 activated sludge plants. There's even a company
28 that specializes in rearranging the flow pattern
29 within the plant with very little new tankage that
30 essentially converts them to biological nutrient
31 removal designs.

32 Quaternary is the really advanced wastewater
33 treatment plants. Those are usually add-ons that
34 the -- as the effluent has to be fairly clear
35 before they can be used for absorption of some of
36 these chemicals of concern at the end. Activated
37 charcoal columns can be used. There's other
38 suggestions that ozone, because of its strong
39 oxidizing capability, can be used once the
40 effluent has passed beyond a tertiary stage.

41 Other design plants of secondary -- are
42 relatively expensive to upgrade to nutrient
43 removal, just because of the inherent design, so
44 referring to trickling filter plant designs, are
45 not very easily converted to nutrient removal
46 because of their inherent difference in design
47 between a trickling filter and activated sludge.

1 So you might be looking, in some cases, of a 10 to
2 20 percent cost increase to go from secondary to
3 tertiary for an activated sludge plant, whereas a
4 trickling filter secondary plant, it might be the
5 -- half the cost of the plant again to convert it
6 to nutrient removal and more advanced containment
7 for emerging chemicals of concern.

8 Q If we're looking at a plant that's going to be
9 started from scratch, as I think we will hear Iona
10 will likely be, what sort of cost differential
11 would those footing the bill for that be looking
12 at, if they were to go beyond secondary to best
13 available technology?

14 DR. ASHLEY: Designed at scratch is the time to make
15 the decision, because that's when the cost
16 differential is at its very least, and so it would
17 be probably in about the 20 percent range to go to
18 advanced plants over conventional secondary. It
19 would be very foolish to just build a secondary
20 treatment plant, because by the time it was built
21 it would be technologically out of date, given the
22 new regulations that will be coming down in terms
23 of capture of the emerging chemicals of concern.

24 Q Okay. Speaking of the Iona plant and the upgrade
25 that is contemplated for that, from a Fraser
26 sockeye perspective, how important is it to look
27 at something beyond secondary for that plant?
28 I'll ask you, first, Dr. Ashley.

29 DR. ASHLEY: Because it discharges into the estuarine
30 marine environment, it's of less immediate concern
31 than something that was discharging directly into
32 the Fraser, but it adds to the burden of
33 consistent chemicals in Georgia Strait, which
34 obviously would have a concern with the life
35 history of sockeye.

36 Q Dr. Ross, do you have anything to add to that?

37 DR. ROSS: Well, for Fraser River sockeye, of course,
38 Strait of Georgia is part of their habitat, and
39 releasing compounds that are ending up in the
40 Strait of Georgia may be out of sight, but it's
41 not entirely out of mind. I can point to our
42 recent study that's in press right now that
43 describes PCBs that have been banned since 1977,
44 and PBDEs that are only now becoming regulated in
45 Canada and have no regulation in the United
46 States. These are both very persistent
47 bioaccumulative and toxic compounds of concern to

1 the food web, because they get into the fats at
2 the bottom of the food web, they biomagnify. PCBs
3 have heavily contaminated southern resident killer
4 whales because of the legacy of the use of that
5 chemical.

6 PBDEs have been doubling every 3.5 years in
7 harbour seals in the Strait of Georgia and are now
8 probably plateauing or dropping. Our study
9 examining PCBs and PBDEs in sediments in the
10 Strait of Georgia show very high concentrations
11 around, well, the eastern shoreline of the Strait
12 of Georgia, notably around the outfalls and into
13 Burrard Inlet. So very, very high concentrations
14 of PBDEs, much higher than we would expect based
15 on our observations with PCBs, which indicates, to
16 me, very strong localized point sources of flame
17 retardant chemicals that are coming out of day-to-
18 day use, computers, furniture, carpeting,
19 textiles, electronics, automobiles, landfill
20 leachate, clothing, even. And these things would
21 get into the wastewater stream, whether it's
22 primary or secondary, there's certainly a large
23 fraction ending up going into the plume, into the
24 stream and into the Strait of Georgia.

25 The concern about that is that over time
26 we're building up a reservoir in the Strait of
27 Georgia, and over time that will start to present
28 biological risks to the critters that live and/or
29 transit the Strait of Georgia.

30 Q Okay. If we were looking at priorities, where
31 would you put -- rank the priority, in our
32 priorities, the need to upgrade Iona as compared
33 to perhaps other concerns that might exist with
34 facilities, wastewater facilities?

35 DR. ROSS: Well, other concerns, to me, would extend
36 far beyond the wastewater treatment --

37 Q Yes.

38 DR. ROSS: -- plants, of course. Pulp mills are huge
39 producers of some of these estrogenic compounds of
40 concern. Some of the pesticides that are used in
41 agriculture and forestry are of concern. But in
42 terms of a wastewater treatment plant, I would say
43 that anything that reduces the release of
44 compounds of concern and upgrades from primary,
45 secondary and tertiary would all reduce the inputs
46 of current use pesticides, of persistent
47 compounds, of pharmaceuticals, et cetera, but it

1 doesn't necessarily solve the problem.

2 I think I would point to a couple of other
3 activities that -- there are times when
4 municipalities or regional governments get sort of
5 blamed for these chemicals, but the fact of the
6 matter is, Metro Vancouver or Capital Regional
7 District did not produce these chemicals of
8 concern. They're stewards of our waste, and as
9 such, there's a heavy responsibility in terms of
10 trying to have wastewater treatment practices that
11 eliminate, potentially, 10,000 or 15,000 chemicals
12 of potential concern in terms of sockeye.

13 So I think I would point to **CEPA**, the
14 **Canadian Environmental Protection Act**, which has,
15 as part of its direction, chemical regulation.
16 And PBDEs are a good case in point. PBDEs are
17 starting to be regulated in terms of **CEPA**, so
18 there is a chemical regulation side of things to
19 prevent chemicals from getting into the wastewater
20 stream at the beginning of the day.

21 And the second thing I would point to would
22 be source control. I know that Metro Vancouver
23 and Capital Regional District have very strong and
24 very important source control programs, and source
25 control can target photofinishing labs, can target
26 dentists, can target automobile repair shops, et
27 cetera, and try to prevent some of these chemicals
28 from getting into the stream. It's easier to
29 process them in a reduced risk at that level.

30 So I may be wandering a little bit for your
31 purposes, but those are a couple of thoughts I did
32 want to get in there.

33 MR. MCGOWAN: No, it's helpful and it saves me a couple
34 of questions which I was going to come to. Mr.
35 Commissioner, this might be an appropriate time
36 for the break.

37 THE COMMISSIONER: Thank you.

38 THE REGISTRAR: The hearing will now recess for 15
39 minutes.

40
41 (PROCEEDINGS ADJOURNED FOR MORNING RECESS)
42 (PROCEEDINGS RECONVENED)
43

44 THE REGISTRAR: The hearing is now resumed.
45
46
47

1 EXAMINATION IN CHIEF BY MR. MCGOWAN, continuing:
2

3 Q Dr. Ashley, just before we broke, we were talking
4 about priorities and the prioritization of
5 upgrading Iona. In terms of the upgrade to Iona
6 and with respect to priority, where did you place
7 that on your priority list? Is there something
8 that you would give a higher priority to from a
9 Fraser sockeye perspective?

10 DR. ASHLEY: I would put upgrades to Iona and Annacis
11 and Lulu all on the same priority, because one
12 deals with their freshwater riverine habitat and
13 the other one deals with the marine habitat.
14 That's the complexity of dealing with anadromous
15 salmonids. They spend part of their life history
16 in fresh water and part in the marine environment,
17 and so you have to deal with both.

18 Q Following the Fraser Report, there was a
19 recommendation made with respect to upgrade to
20 Annacis, and it has in, comparatively speaking,
21 relatively recent times been upgraded to the
22 trickling filter secondary; is that correct?

23 DR. ASHLEY: Yes, it went from a primary plant to a
24 secondary plant of the trickling filter solids
25 contact design.

26 Q Okay. Is there an easy fix to address your
27 ammonia concern, or is this a substantial
28 undertaking that you're proposing?

29 DR. ASHLEY: It would be a substantial undertaking.

30 Q And can you give us any sense of the magnitude in
31 terms of cost?

32 DR. ASHLEY: Tens of millions.

33 MR. MCGOWAN: If I could just have a moment, Mr.
34 Commissioner.

35 Could we have our Tab 10 of our list of
36 documents up, please?

37 Q Dr. Ashley, this is metro Vancouver's recently
38 approved new Liquid Waste Management Plan. Have
39 you seen this document before?

40 DR. ASHLEY: Yes, I have.

41 MR. MCGOWAN: Okay. If that could be the next exhibit,
42 Mr. Commissioner.

43 THE REGISTRAR: Exhibit 1049.
44

45 EXHIBIT 1049: Proposed Integrated Liquid
46 Waste and Resource Mgmt, May 2010 [Metro
47 Vancouver]

1 MR. MCGOWAN: And the approval of this new Liquid Waste
2 Management Plan was accomplished by way of a
3 letter dated May 30th at our Tab 29.

4 If we could zoom in on the paragraph with the
5 number 1 at the start of it, please. If this
6 could be the next exhibit?

7 THE REGISTRAR: Exhibit 1050.

8
9 EXHIBIT 1050: Letter from Lake (BC MOE) to
10 Jackson (MetroVan) re Liquid Waste Mgmt Plan,
11 with revisions, May 30, 2011
12

13 MR. MCGOWAN:

14 Q Dr. Ashley, you're aware that Liquid Waste
15 Management Plans are typically approved by the
16 Province of British Columbia and that those
17 approvals sometimes carry with conditions?

18 DR. ASHLEY: Yes, I am.

19 Q And the first condition on this letter is:

20
21 The Ministry supports [the] upgrading to
22 secondary level treatment the Lions Gate
23 wastewater treatment plant by 2020 and Iona
24 Island wastewater treatment plant as soon as
25 possible, but no later than 2030.
26

27 I wonder if you have any comments on the proposed
28 timing and extent of the upgrades which are being
29 suggested for those two treatment plants.

30 DR. ASHLEY: I agree with what the Metro Reference
31 Panel, in their original submission to Metro,
32 argues that both plants be done simultaneously and
33 that they be upgraded to best available technology
34 which was considerably beyond secondary treatment.

35 Q And, Dr. Ross, do you agree with that?

36 DR. ROSS: I think this would be largely outside my
37 realm of expertise. But certainly if one is to
38 design something to reduce risk associated with
39 discharge of deleterious substances, upgrades to
40 both these plants sooner rather than later would
41 be of net benefit to salmon habitat.

42 Q All right. Now, Dr. Ashley, Metro Vancouver
43 engages in a fairly substantial planning process
44 associated with liquid waste that gets articulated
45 through the Liquid Waste Management Plan. And
46 that approach is not taken in all municipalities.
47 Is the liquid waste management planning process

1 one which you believe is beneficial?
2 DR. ASHLEY: Yes, I do.
3 Q And part of that process includes Metro Vancouver
4 engaging in environmental monitoring; is that
5 correct?
6 DR. ASHLEY: Correct.
7 Q Okay. And we're going to hear something about the
8 Environmental Monitoring Program in evidence
9 tomorrow, but is it a program that you're familiar
10 with --
11 DR. ASHLEY: Yes, I am.
12 Q -- for Vancouver? And you're familiar with the
13 new Liquid Waste Management Plan which proposes
14 the continuation of that?
15 DR. ASHLEY: Yes.
16 Q I wonder if you have any comments on Metro
17 Vancouver's Environmental Monitoring Program?
18 DR. ASHLEY: Current or projected new?
19 Q Either one.
20 DR. ASHLEY: The existing --
21 Q Perhaps focusing on the projected new.
22 DR. ASHLEY: The projected. Could you scroll down to
23 the other clauses in here that --
24 Q Oh, certainly. I think you're referring to
25 conditions 5 and 6 --
26 DR. ASHLEY: Yes.
27 Q -- of the approval and perhaps you could just
28 highlight 5 and 6 for Dr. Ashley.
29 DR. ASHLEY: It's that there's recognition by the
30 province, who issues the permit and approval for
31 Liquid Waste Management Plan, is that they are
32 also become concerned about the emerging chemical
33 concern that Dr. Ross spoke about, the persistent
34 organic pollutants, PBDEs, that are accumulating
35 at an alarming rate in George Strait and where the
36 marine outlet is for Iona and also for the concern
37 about endocrine-disrupting chemicals. So it needs
38 to build upon studies so that that becomes a
39 larger component of their monitoring program.
40 Q Thank you. In terms of conducting environmental
41 monitoring if one is concerned about Fraser
42 sockeye, is it important for the environmental
43 monitoring to include the examination of pelagic
44 species or salmon specifically in your opinion?
45 DR. ASHLEY: Yes, I believe it is important.
46 Q Dr. Ross, do you have an opinion on that?
47 DR. ROSS: Well, if one were concerned about the real

1 world out there in the natural environment, real
2 habitat, real species, then I would suggest that
3 that is the case, particularly with salmon. You
4 know, 96-hour LC50s, lethal concentration 50
5 tests, in a laboratory with rainbow trout under
6 very strict conditions will provide ease in terms
7 of monitoring for effects, but it does not
8 necessarily do anything more than document risks
9 associated with acute immediate effects.

10 That's where, I think, when one looks at the
11 cumulative effects in the real world as the long-
12 term endocrine-disrupting effects - that is,
13 effects on the immune system, effects on
14 behaviour, effects on the ability of salmon to
15 smell, and effects on normal growth and
16 development - I think we could go a long way to
17 having better understanding of the nature of the
18 many pollutants that end up in Fraser River
19 sockeye habitat by expanding beyond the laboratory
20 testing procedures currently called for.

21 MR. MCGOWAN: Okay. Thank you. Now, Mr. Commissioner,
22 this letter references back to the 2002 Liquid
23 Waste Management Plan which is at our list of
24 documents number 11, if we could bring that up.

25 Q Dr. Ashley, you're familiar with this? This is a
26 2002 approved --

27 DR. ASHLEY: Yes, I am.

28 Q -- Liquid Waste Management Plan?

29 MR. MCGOWAN: If that could be the next exhibit.

30 THE REGISTRAR: Exhibit 1051.

31
32 EXHIBIT 1051: Liquid Waste Mgmt Plan, Feb
33 2001 [Greater Vancouver Regional District]
34

35 MR. MCGOWAN: Thank you. Mr. Commissioner, just for
36 your benefit, the approval letter is contained
37 within this exhibit. One exhibit contains both of
38 those two documents, the plan and the approval
39 letter.

40 Q Dr. Ashley, under the 2001 draft and 2002 approved
41 Liquid Waste Management Plan, Metro Vancouver set
42 up an Environmental Monitoring Committee. You're
43 familiar with that?

44 DR. ASHLEY: Yes, I am.

45 Q And the terms of reference for that - I think the
46 Commissioner is going to hear tomorrow -
47 contemplated participation from the Department of

1 Fisheries and Oceans and Environment Canada. Do
2 you, from your experience working with Metro
3 Vancouver and working in this area, do you believe
4 the participation of those two agencies in a Metro
5 Vancouver Environmental Monitoring Committee would
6 be beneficial?

7 DR. ASHLEY: Yes, it would be beneficial.

8 Q Okay. And, Dr. Ross, you have some experience
9 with respect to involvement in monitoring of the
10 Capital Regional District's waste water. Can you
11 offer an opinion as to whether the involvement of
12 the Department of Fisheries and Oceans can be
13 beneficial in monitoring wastewater matters?

14 DR. ROSS: Oh, I think certainly having expertise
15 regarding life history of salmon or some of the
16 other creatures that live or transit the receiving
17 waters in the Fraser estuary, Burrard Inlet,
18 Strait of Georgia, would be beneficial.

19 I can't really comment as to whether that
20 should be carried out by Fisheries and Oceans or
21 not, but certainly there are a number of candidate
22 experts within the Department of Fisheries and
23 Oceans, both within our Habitat sector, as well as
24 our Science sector that I think would have some
25 important expertise to contribute to such a
26 committee.

27 Q Okay. Thank you. Dr. Ashley, I wonder if you
28 could just briefly explain to the Commissioner -
29 I'm going to turn to a different topic now, the
30 topic of combined sewer overflows - and I wonder
31 if you could just explain to the Commissioner,
32 just briefly, the manner in which the sanitary and
33 storm water systems are designed presently in
34 Vancouver and New Westminister, and how combined
35 sewer overflow events can occur.

36 DR. ASHLEY: In many parts of the world that are 100-
37 plus years old, which is certainly New Westminister
38 and parts of Vancouver, the storm sewers were
39 combined into the sanitary sewer and so they were
40 designed under dry weather flow to just send the
41 sewage to a sewage treatment plant. When it rains
42 above a certain intensity and for a certain
43 duration, then the capacity of the sewage
44 treatment plant to handle that additional
45 rainwater runoff, combined with the base flow of
46 sewage means that the system then goes into an
47 overflow mode, and that's what's known as a

1 combined sewer overflow.

2 It's different from a sanitary super overflow
3 which is just a sort of failure of the sanitary
4 sewer system due to a pump failure or a pipe break
5 or something like that, that may cause an overflow
6 of raw sewage.

7 Q Okay. And the combined sewer overflows, do they
8 result in sewage which has not been treated at all
9 being released into the environment.

10 DR. ASHLEY: Yes, it's raw sewage, and all of the other
11 contaminants that come off the urbanized
12 landscape.

13 Q Okay. And to the extent that these combined
14 sewers may be discharging into the Fraser River,
15 is there a potential harm to Fraser sockeye?

16 DR. ASHLEY: It would depend on the timing and the
17 magnitude of the event. Theoretically, there
18 would be a potential risk. You'd have to look at
19 it on a risk-specific event. For acute toxicity
20 certainly; for chronic toxicity and accumulation
21 of persistent contaminants in the Fraser River and
22 which would then be sediment-mobilized down into
23 the estuary, there is a concern.

24 Q Okay. And what measures are generally needed with
25 respect to -- I take it, Vancouver and New
26 Westminster are the primary areas of concern?

27 DR. ASHLEY: For Fraser River or for combined sewer
28 overflows in general?

29 Q For Fraser River.

30 DR. ASHLEY: For Fraser River, it's basically Vancouver
31 and New Westminster.

32 Q And what measures are needed to minimize or
33 mitigate the threats posed by combined sewer
34 overflows?

35 DR. ASHLEY: There is a long-term plan to separate them
36 which generally rolls at the rate of 1 to 1.5
37 percent of the sewage system per year is replaced,
38 and that's the separation rate unless there is a
39 higher priority that gets added on top of that
40 normal replacement rate.

41 Q Okay. And that approach is already underway?

42 DR. ASHLEY: Yes, that approach has been underway for
43 some time.

44 Q Okay. And do you support that approach to
45 managing this issue?

46 DR. ASHLEY: Yes, I do. That deals with Metro's
47 combined sewer overflows and the City of New

1 Westminster has its own replacement rate that
2 needs to be looked at relative to their civic
3 budget, and so it's important to distinguish
4 between Metro Vancouver combined sewer overflows
5 and then individual overflows that are owned by
6 the respective municipalities.

7 Q Thank you. Dr. Ross, do you have anything to add
8 to the issue of combined sewer overflows?

9 DR. ROSS: Well, I think Dr. Ashley summarizes some of
10 the concerns and certainly the technology or lack
11 thereof with regard to CSOs. I do know from
12 research that has been carried out in Puget Sound,
13 Washington State, that CSOs and/or some of the
14 runoff associated with city streets have created
15 problems for salmon.

16 We know that copper is a metal that is very,
17 very toxic. Copper is something that's released
18 through brake pads and some other activities from
19 vehicles. Salmon are extremely sensitive to
20 copper and there are a few sporadic mortalities
21 associated with storm water and CSO discharge.

22 So separating out the storm sewers and the
23 sanitary sewers is something that would help
24 manage and reduce the release of some of the
25 contaminants of particular concern.

26 Storm water as well, there are changes to
27 storm water systems that are fairly elementary
28 that would also help to reduce the release of oils
29 or suspended solids, et cetera. So even if one
30 separates the combined into sewage stream and
31 storm sewer discharge, there are means of further
32 refining and reducing the release of various
33 contaminants of concern to salmon.

34 Q Thank you.

35 MR. MCGOWAN: Could we please have Exhibit 77?

36 Q Dr. Ross, I'm bringing up the 1994 Fraser Report.
37 It's a document you're somewhat familiar with?

38 DR. ROSS: Yes, very basically.

39 MR. MCGOWAN: Okay. I'm going to ask that we turn,
40 please, to page 70 of the document, and I'm
41 looking at the page numbers in the bottom centre.
42 If you could highlight recommendation 29, please?

43 Q Dr. Ross and Mr. van Aggelen, I'm going to address
44 this question to the two of you. There's a
45 recommendation here made in 1995, I believe.

46
47 We recommend that the federal, provincial and

1 local governments join forces to develop
2 effective policies and plans in the Fraser
3 River basin designed to:

- 4
5 • Better treat and control the discharge of
6 effluent into the Fraser River watershed.
7

8 Bearing in mind that today's topic is focused
9 primarily on municipal waste water, I wonder if
10 you can address the Commissioner on whether that
11 has taken place?

12 DR. ROSS: 1994, that comes out of the era of grave
13 concerns about the release of dioxins and furans
14 associated with pulp and paper mills, and those
15 regulations were implemented in the early 1990s.
16 So there would have been action at the time
17 captured -- at the time of this Fraser Report
18 wherein we would have seen upwards of 95 percent
19 reduction in the release of dioxins and furans to
20 the Strait of Georgia because of pulp mill
21 contamination.

22 There would probably be -- I should point out
23 this precedes my time in British Columbia. I
24 arrived in 1996. So I would rely on colleagues
25 and publications predating my time here.

26 There certainly were staff and programs at
27 our Water Quality Unit at the Fisheries and Oceans
28 of Canada Water Quality Unit Habitat Branch that
29 would have been very much aware of some of the
30 practices and oversight of the discharge of
31 effluents of different types into the Fraser River
32 system. Unfortunately those colleagues, that
33 Water Quality Unit was disbanded in 2005, so we no
34 longer have access to that expertise or that
35 oversight, and it kind of makes it difficult for
36 me to interpret with great rigidity whether this
37 has taken place or not.

38 I think there are a number of things that
39 have happened, a number of good things that have
40 happened. A number of priority contaminants have
41 been identified and reduced. There have been some
42 upgrades to discharge processes for pulp and paper
43 mills and some municipal plants. There have been
44 some ancillary or resulting improvements in the
45 quality of habitat for some chemicals and for some
46 types of activities.

47 On the other hand, there have been some

1 things that have gotten worse. A number of
2 currently used pesticides are widely used in
3 municipalities, agricultural areas, forestry
4 lands. A number of chemicals, particularly flame-
5 retardant chemicals, have been increasing rapidly
6 in the receiving waters of the Fraser estuary.

7 I think what I'm trying to do is touch on a
8 few points where I do have some awareness. But
9 I'm unaware of a joining of forces to develop
10 effective policies and plans for the Fraser River
11 Basin.

12 Q Thank you. Mr. van Aggelen, do you have anything
13 to add to that answer?

14 MR. van AGGELEN: The only thing I might add to that,
15 not specifically related to policies, is that I
16 believe at that time the Fraser River Action Plan
17 was in place, and I know that there was certainly
18 some degree of activity with Environment Canada
19 looking at water quality along the Fraser at that
20 time.

21 MR. MCGOWAN: Thank you. And if we could turn to the
22 next page, please, Mr. Lunn, and highlight
23 recommendation 30.

24 Q There's one here, one of these sub-bullets, that I
25 think is particularly relevant and I want to ask
26 you about it, Dr. Ross.

27
28 We recommend that DFO conduct further
29 research on:

- 30
31 • The effect of multiple, sublethal stresses
32 on migrating salmon.
33

34 I wonder if you can address the Commissioner on
35 the extent to which this recommendation has been
36 addressed by the Department?

37 DR. ROSS: Well, several of these bullets are outside
38 the purview of my expertise, but I do have
39 colleagues that have worked extensively over the
40 last couple of decades --

41 Q Yes, I'm pointing you specifically to the third
42 bullet.

43 DR. ROSS: The third bullet?

44 Q Yes.

45 DR. ROSS: I am aware of colleagues of mine that are
46 looking at multiple stresses on migratory salmon,
47 but these would not include contaminants or

1 pollution-related stresses.

2 Q Are they doing it within the Department of
3 Fisheries and Oceans, this research?

4 DR. ROSS: Yes.

5 Q Sorry, I interrupted you. You were saying...?

6 DR. ROSS: Well, just inferring or stating that there's
7 very little in the way of research-related
8 sublethal stresses from a contaminant perspective.
9 I think of note here is that in the old days we
10 used to view chemicals as being acutely lethal.
11 We would see fish kills, we would see belly-up
12 fish. We might have thousands of fish out there
13 in a lake or river system, and that would be
14 associated with an acute release of a toxic
15 contaminant that would be present at a
16 concentration high enough to kill fish.

17 The problem is that as we have improved our
18 understanding of what causes acute mortality, the
19 numbers of chemicals that we consider to affect
20 fish in a sublethal manner has been increasing
21 exponentially. I mentioned the 23,000 chemicals
22 on the domestic substances list. Many of these
23 chemicals don't kill fish outright and their
24 toxicity would not necessarily be captured by a
25 96-hour LC50 experimental test, but they might
26 reduce their growth, confuse them, affect their
27 ability to smell, to find their home stream,
28 reduce their immune system, make them vulnerable
29 to disease, outbreaks of disease, or affect their
30 energetics, in other words, their ability to feed
31 and grow, et cetera.

32 So often sublethal effects of contaminants
33 may not be evident, but when a secondary insult
34 comes along like a virus, like climate change,
35 like a food supply problem or other stress with
36 regard to habitat destruction, that's where the
37 contaminant influence may become a very
38 significant contributing factor. In other words,
39 the contaminants would predispose salmon to a
40 secondary insult.

41 So I think in that sense it's very important
42 to contaminant research placed in the guise of the
43 real world of salmon habitat, of salmon life
44 history, and understand how these contaminant
45 stresses which are out there are contributing to
46 population level impacts, and I would say that's
47 not happening.

1 MR. MCGOWAN: Thank you very much. Mr. Commissioner,
2 those are my questions for the panel. I believe
3 Mr. East will be next for the Government of
4 Canada.

5 MR. EAST: Mr. Commissioner, Mark East for the
6 Government of Canada. I'm with my colleague,
7 Geneva Grande-McNeill for the Government of
8 Canada. I will be no more than, I would think,
9 20, 25 minutes, so probably 12:20, I hope.

10
11 CROSS-EXAMINATION BY MR. EAST:
12

13 Q I just have a few questions for the panel and
14 maybe I'd like to start perhaps with just a big
15 open-ended one. Maybe to start, just as a
16 platform, we could go to Exhibit 633. I believe
17 it's Tab 28. This is the article - Dr. Ross,
18 maybe I'll start with you - that you published in
19 2002.

20 MR. LUNN: Did you say 633?

21 MR. EAST: Sorry, did I -- it's Tab 28.

22 MR. MCGOWAN: I believe it's 833.

23 MR. EAST: Sorry, 833, thank you. It's page 21, page
24 33 ringtail.

25 Q So under "Summary", in the first sentence, it
26 talks about the percentage of the municipal
27 population as of 1999 in the Georgia Basin, 55
28 percent:

29
30 ...was served by sewage systems that had
31 either secondary or tertiary treatment,
32 representing a substantial increase from less
33 than 20 percent prior to 1999...

34
35 I'm interested in the second line.

36
37 This change likely improve some effluent
38 quality characteristics such as BOD, TSS, and
39 regulated contaminants such as heavy metals,
40 some PAHs, PCBs etc.

41
42 So just stopping there, are these what we would
43 call the traditional legacy contaminants that
44 we've been talking about today?

45 DR. ROSS: Legacy contaminants in my world tend to be
46 ones that have been regulated. So PCBs were
47 regulated in 1977 in Canada. Dioxins, furans are

1 a byproduct of human activities. They're by-
2 production largely through controls on use of
3 liquid chlorine in the pulp and paper sector.
4 Those regulations were in 1989, I believe. Might
5 have been a year or two later.

6 So legacy contaminants are ones that we've
7 largely addressed from a regulatory standpoint.
8 But they're termed "legacy" because they're so
9 persistent. In fact, PCBs, even though they've
10 been banned for 35 years, they continue to
11 represent a dominant concern at the top of aquatic
12 webs, for example, because the persistence,
13 they're fat soluble, they get into these animals,
14 they biomagnify and they can affect animals
15 through influencing their endocrine system. So
16 that would be legacy contaminants.

17 And then perhaps the other term that would be
18 used for biological oxygen demand or suspended
19 solids would be more on the lines of conventional
20 pollutants that are typically associated with a
21 history by humankind to reduce the impacts
22 associated with human waste.

23 Q Okay. Thank you. And that's an important
24 distinction to make and I appreciate that. What I
25 would like to do is maybe just focus a little bit
26 on the conventional traditional contaminants and
27 then -- much of the discussion we've had this
28 morning, I think rightly so, has been on the new
29 emerging persistent biocumulative and toxic
30 contaminants. But I just want to ask a couple of
31 questions about the traditional conventional
32 contaminants.

33 Would it be fair to say, remembering that
34 we're here to discuss the potential impacts on
35 Fraser River sockeye salmon, that because of the
36 improvements in water quality, municipal
37 wastewater treatment and other improvements, that
38 we are less concerned about the traditional
39 contaminants as a primary cause for the decline of
40 the Fraser River sockeye salmon? Emphasis on the
41 traditional and conventional contaminants.

42 Maybe I'll start with you, Dr. Ross, and then
43 ask the other members of the panel.

44 DR. ROSS: Well, I would start by saying that
45 wastewater treatment plants are designed, by and
46 large, to deal with conventional parameters and
47 pollutants, so that in upgrading, I think I'd have

1 to defer to my colleague, Dr. Ashley, but the
2 upgrades typically will address and mitigate for
3 those types of conventional pollutants.

4 Unfortunately we have many thousands of
5 chemicals that are in the wastewater stream that
6 may or may not be addressed through upgrades.
7 Many of them are reduced in terms of their --
8 they're retained through upgraded processes, but
9 they may not break down. They may still represent
10 a problem at some point depending on what happens
11 to the application of the biosolids.

12 So I think I would concur with your line of
13 questioning in the sense that we are more
14 concerned today about many of the compounds for
15 which we have a fairly cursory understanding of
16 their toxicity and a fairly elementary
17 understanding of their response to upgrades in
18 levels of sewage treatment.

19 The upgrades to sewage treatment are
20 typically not designed because of some of these
21 new and emerging contaminants. It's only by
22 happenstance or by good luck that many of these
23 chemicals are removed from the wastewater stream
24 through upgraded treatment.

25 Q Dr. Ashley?

26 DR. ASHLEY: The question being do I agree with that
27 statement?

28 Q That the traditional and conventional contaminants
29 are now less of a concern, increasingly perhaps
30 less of a concern, with the upgrades we've talked
31 about, as a primary cause for the decline of
32 Fraser River sockeye salmon.

33 DR. ASHLEY: I think some of the conventionals, as it
34 states there, BOD-5 and TSS are generally well
35 treated by conventional secondary treatment
36 plants. As we discussed earlier, the type of
37 secondary treatment plant can have a large effect
38 on other chemicals which are also lumped into the
39 conventional category, namely, nitrogen/
40 phosphorus, and so the nitrogen is in the form of
41 ammonia. We've discussed about the ammonia
42 toxicity issue and the fact that phosphorus is
43 also discharged through with no control on any of
44 these plants. Whether that leads to increases in
45 algal productivity in the lower sections of the
46 River and the marine environment, we all know
47 there's a growing concern about marine dead zones

1 in estuaries around the world. So conventional
2 treatment of secondary treatment plants of those
3 conventional contaminants has not done anything.

4 Q Okay. Mr. van Aggelen, do you have anything to
5 add to that question?

6 MR. van AGGELEN: The only rider is that as long as the
7 plant is running at peak efficiency, 'cause as
8 long as the BOD - biological oxygen demand - and
9 chemical oxygen demand and suspended solids are
10 kept in check, the effluent quality should be
11 sufficient as to sustain life on a short-term
12 exposure. But again, if BOD and COD are not
13 maintained properly, you will have effluents
14 deficient in dissolved oxygen and still result in
15 conventional toxicity.

16 So the two have to go forward together, in
17 other words, for an upgrade to a plant. You know,
18 BOD quality in addition to upgrades has to be
19 maintained as well.

20 Q Okay. Thank you. I may just continue on this
21 theme and then I'd like to get back to the issue
22 of some of the engineering and cost issues in a
23 few minutes.

24 But I want to maybe go to Tab 3 of the
25 Commission's list of documents. It's CAN 025061.
26 I believe this is an Environment Canada document,
27 so maybe I'll ask you, Doctor -- or Mr. van
28 Aggelen if you recognize this document, a public
29 document, "The State of Municipal Wastewater
30 Effluents in Canada." Are you familiar with that?
31 Have you seen this document before?

32 MR. van AGGELEN: Only since the exhibits were sent to
33 me.

34 Q Okay. Well, perhaps I can ask Dr. Ashley and Dr.
35 Ross if this is something that you've ever seen or
36 been part of a review before?

37 DR. ASHLEY: No, I haven't.

38 DR. ROSS: Just as an exhibit.

39 Q I'd like to just ask you some -- just use this as
40 a platform for some questions. Maybe go to page
41 29 in ringtail. I'm interested in the heading
42 that talks about the "Assimilative Capacity of the
43 Receiving Water". I just want to understand how
44 this works and why this is an important factor.

45 It says here:

46
47 The volume and flow of receiving water will

1 determine its ability to dilute or assimilate
2 effluent discharges and, hence, the extent of
3 toxic effects occurring in the vicinity of
4 the discharge. Although a concentrated
5 effluent may be highly lethal in laboratory
6 tests, receiving systems with a large
7 assimilative capacity may dilute the effluent
8 to the point where it is no longer deadly.
9 However, in small watercourses, intertidal
10 areas, or receiving waters that are subject
11 to periodically low seasonal flows, the water
12 volume may be insufficient to dilute the
13 effluent to non-toxic levels.
14

15 And I think this is something, Dr. Ashley,
16 you touched on, especially with respect to the
17 Lower Fraser River. What is the nature of the
18 assimilative capacity of this area, especially in
19 the intertidal zone? Is it something that
20 essentially, when these discharges go out, that
21 they are diluting efficiently, or is there
22 characteristics about this area that we should be
23 concerned about?

24 DR. ASHLEY: Well, the concept of dilution is sort of
25 central to any effluent discharge. So all of
26 these plants are designed with a dilution of the
27 receiving environment to the effluent in order to
28 theoretically get to non-toxic concentration, so
29 it meets the provincial water quality objectives.

30 As I said earlier, that over a 24-hour
31 period, the dilution could be fine, but because
32 the Fraser is a tidal system, it has at least four
33 slack water periods per day where the dilution may
34 be substantially less than what is required. So
35 at that point, you may not be getting the required
36 dilution on an instantaneous rate, and if fish
37 were exposed to that, the fish might argue that
38 although the 24-hour dilution rate is fine, the
39 instantaneous dilution rate that they experience
40 at, say, low slack tide in the winter when
41 concentrations are low, may not be appropriate.

42 The other concept is that traditional
43 engineering taught that the solution to pollution
44 is dilution. That was the old sort of mantra that
45 was taught in engineering school through the '40s,
46 '50s, '60s, '70s and '80s, with the general belief
47 that the type of pollutants that were in

1 wastewater treatment plants could be diluted down
2 to a certain point where they became a non-issue.
3 That was certainly the argument that the City of
4 Victoria used for decades.

5 With recent knowledge of the type of
6 persistent chemicals that Dr. Ross and Mr. van
7 Aggelen have discussed, you may dilute it a
8 million times in the receiving environment, but if
9 the bioconcentration by trophic processes
10 reconcentrates a million times, then basically
11 it's a zero sum game. So the solution to
12 pollution is no longer effective when you're
13 dealing with persistent contaminants that
14 biomagnify.

15 Q Maybe a follow-up question on this to Mr. van
16 Aggelen about the acute lethality test. With
17 respect to testing or monitoring the effluent at
18 some of these wastewater treatment plants, I take
19 it they take - well, you call it a cocktail, I
20 suppose - directly from the municipal wastewater
21 treatment plant and they test it in a laboratory
22 setting using the LC50 test. Is that how that is
23 done?

24 MR. van AGGELEN: That's correct. The regulatory test
25 for measuring end-of-pipe discharge is you take
26 the end-of-pipe discharge before it enters into
27 waters frequented by fish. It's brought back to
28 the laboratory and it's tested to determine if
29 greater than 60 percent of the fish die in 100
30 percent concentration over 96 hours. If it passes
31 that, it's in compliance with both usually federal
32 and provincial effluent quality guidelines.

33 And just following on what Dr. Ashley just
34 said is that the LC50 was -- determined that while
35 it's not acutely toxic within the initial dilution
36 zone, that outside of what they call the IDZ, or
37 initial dilution zone, for a given discharge
38 point, that there would be no chronic toxicity
39 either based on "the model" assimilative capacity
40 of the receiver.

41 Q And as you talk about the model or the traditional
42 view, is that the sockeye or whatever the fish is
43 that's going to be coming in contact with that
44 effluent, it's never going to come in contact with
45 the effluent that you necessarily testing in the
46 lab?

47 MR. van AGGELEN: At the test concentration in the lab.

1 It's going to be exposed at some concentration
2 within the receiver at "x" value.

3 Q Exactly. So the fish is going to be swimming near
4 the end of the pipe in a receiving environment
5 that, first of all, I suppose has many other
6 contributing contaminants from other sources.

7 MR. van AGGELEN: Correct.

8 Q And the concentrations are diluted to -- depending
9 on innumerable factors, I suppose.

10 MR. van AGGELEN: Correct.

11 Q I guess where I'm going with this is how do you
12 envision a monitoring - and this is an open-ended
13 question 'cause I don't really know the answer to
14 this obviously - how do you envision a monitoring
15 program for contaminants that's going to take into
16 account the myriad of real-world effects in
17 mixtures that sockeye salmon or other species are
18 going to be swimming through?

19 MR. van AGGELEN: In my view, if we know the various
20 dilution concentrations or isopleths of
21 concentration of effluent within a given reach of
22 the river or creek or whatever, those
23 concentrations can be tested in a laboratory with
24 the material being discharged to determine if, at
25 those concentrations actually in the receiving
26 environment at a kilometre or two kilometres,
27 three kilometres downstream of the discharge, are
28 eliciting some type of an effect. Again, this is
29 where I believe that toxicogenomics are looking at
30 molecular signals, as a consequence of exposure in
31 the receiving environment, will give us value as
32 to the health or protection of the species with
33 fish.

34 Q Just following on this theme a little bit, I
35 wanted to ask a question about the cost of
36 research and cost of testing. It's something we
37 haven't really touched on. I'm just curious as to
38 what it takes as far as the economics and the cost
39 of doing testing for each sample in your lab. Can
40 you give us a sense of what's entailed, I guess,
41 economically with respect to testing, just so that
42 we have a sense of what it costs to implement a
43 research or lab-testing program.

44 MR. van AGGELEN: If I could start with - 'cause we've
45 talked about traditional research methods - the
46 conventional fish bioassay or the 96-hour acute
47 lethality test that we've talked about today is a

1 test that's been around since the '60s. And that,
2 in every provincial jurisdiction -- and a lot of
3 private consultants actually can do and provide
4 this service. The test is well established, it's
5 an accredited test by the federal government, and
6 there's also private accreditation bodies that
7 actually will go out and certify private labs and
8 government labs to say that they can do this test.

9 So the conventional fish bioassay, to set a
10 test up -- to set a laboratory up is expensive.
11 It's expensive to keep fish in husbandry, but the
12 actual cost of doing the test for a client can
13 range from, most probably, \$200 to maybe \$700 for
14 an acute lethality test.

15 With respect to toxicogenomics as we talked
16 about today, it's an emerging field of aquatic
17 toxicology, and consequently there is, as with any
18 new field, there is -- other than our lab in North
19 Vancouver and maybe some other academic labs at
20 UBC and perhaps at Simon Fraser and U. of Vic.
21 that I'm not fully aware that there's that much
22 availability to do that. As with any new emerging
23 science or emerging method, the costs are quite
24 high. But with respect to genomics, the cost is
25 decreasing 'cause a lot of the methods and
26 techniques we use are coming out of the human
27 health science.

28 We essentially adopt or modify methods that
29 they use in human or cancer research with respect
30 to genomics and adopt them to my lab. So to set
31 up a genomic program, I would say the cost is
32 quite dear. It's very expensive 'cause it's a lot
33 of statistical evaluations, there's highly-trained
34 individuals that have to be hired. It's not as
35 straightforward as a conventional fish bioassay
36 where the fish are either alive or dead. So
37 there's no interpretation there, as opposed to
38 with genomics, there's a lot of molecular and
39 biochemical analysis that has to be done to look
40 at gene profiles and linking gene profiles to
41 pathways of diversity and then arriving to the
42 conclusion that those genomic signals we see are
43 capable, or were capable of causing some type of
44 harm, whether swimming impairment -- sometimes,
45 for example, if the insulin receptors were high --
46 insulin receptors are associated with sight. So
47 if the fish have got elevated insulin receptors,

1 the fish could be blind. So it may look fine, but
2 obviously sight to navigate, or sight to flee from
3 a predator, that fish could be picked off and not
4 be a contributor to the population.

5 So to get back to your original question, the
6 cost, I believe, is coming down, but to set the
7 programs up, they are very expensive.

8 Q I guess where I'm going with this is do you have
9 the funding, the money, to do this kind of work
10 right now?

11 MR. van AGGELEN: No.

12 Q And to bring this back to the big picture - and
13 this is a question for all the panel - in this
14 hearing today and I believe in some of the
15 evidence in some of the other hearings, we've
16 heard a lot of evidence about the different
17 effects contaminants and other source effects on
18 Fraser River sockeye salmon.

19 For example, today we heard of a need to do
20 more research into the effects specially of new
21 and emerging chemicals. We also heard some
22 evidence about the costs of upgrading or building
23 municipal wastewater treatment plants. Perhaps to
24 a lesser extent, but I think inherent in a
25 discussion of combined sewage outflows and storm
26 water drains which appear to be a concern, there
27 are capital costs obviously in fixing that
28 problem.

29 Then there are all the other issues, the
30 problems that we've talked about in other hearing
31 dates. All of these fixes cost money, and there
32 is probably a finite budget. So I guess where I'm
33 going with this, and I'm just going to throw this
34 to the panel to get your thoughts on this, with
35 all these different demands for funding, as a
36 question of priority where would you recommend
37 that attention be paid first?

38 Just one other caveat, maybe, as part of the
39 answer, I heard maybe two different theories about
40 municipal wastewater treatment. One is that we
41 need to do more work to make sure we get it right,
42 because if the money is spent -- we just want to
43 do it right the first time versus we need to get
44 these things put in place as soon as possible
45 'cause of the impact on Fraser River sockeye
46 salmon. Are these reconcilable views, and where
47 should we be putting the money, the research and

1 the budgets that we have on these different
2 factors, and I'll just leave it at that question
3 for all three of you.

4 MR. van AGGELEN: Being as I've got the red light on,
5 I'll wade in. I think in my opinion there's two
6 things that we need to address. If we are going
7 to continue to use **Fisheries Act** 36(3) as a
8 sentinel for protection of Canada's water, I think
9 the science and our methods, our toxicological
10 methods to gauge effluent quality at the end of
11 the pipe, have to be changed. So our ability to
12 determine that the amount of money or the
13 engineering changes that we're putting into
14 whatever upgrades, we have the ability as
15 scientists or regulators to make sure that we have
16 a gauge of understanding the effluent quality.

17 As I say, the conventional fish bioassay that
18 -- served us well for almost 60, 70 years as a
19 gauge of measuring effluent quality. As we enter
20 into a new era of emerging chemicals and
21 contaminants of concern that we know are eliciting
22 effects on populations, that we as scientists, and
23 again as regulators, must have the tools to ensure
24 that the environment is protected. As I say,
25 whether it's genomics or metabolomics or omic
26 technologies, that's kind of where we are right
27 now. But in the future, 20 years from now, we may
28 have other methods of measuring effluent quality.

29 So, yes, upgrading, but equal, if not the
30 same amount of fiscal money put towards the
31 scientific authorities to make sure that they have
32 the tools with which we can gauge improvements or
33 potential impacts on the receiving environment.

34 DR. ROSS: Yeah, I would simply build on that by saying
35 that I think actually science can be very cost-
36 effective. Certainly I have a bit of vested
37 interest here because I rely on research dollars
38 for the work that I do. But in the past, we've
39 had access to budgets where we come up with an
40 idea because of our sort of expert understanding
41 of the literature and some of the hot topics that
42 have emerged from other parts of the world.

43 Between 1945 and 1990, not a single lake
44 trout reproduced in Lake Ontario. For decades
45 government agencies were cutting back on fish
46 permits and quotas, had a huge very expensive
47 lamprey control program. We were trying to figure

1 out what was going on. It wasn't until some
2 fairly good detective work by a team of
3 researchers discovered that dioxin levels in the
4 sediments and in the eggs were lethal for four-
5 and-a-half decades. That took science work and
6 that took one set of scientists to uncover that
7 story and to demonstrate that dioxins were present
8 at a concentration that were unacceptable, and it
9 led to population level crash.

10 In the case of the Maritimes, the aerial
11 application of spruce bud worm pesticide called
12 "Aminocarb" through the '80s and '90s led to a
13 near collapse of Atlantic salmon returns for 13
14 salmon watersheds. That was related to not the
15 Aminocarb, but its carrier compound which is
16 nonylphenol. It's one of these nasty estrogenic
17 compounds. Again, it was a creative smart guy,
18 Wayne Fairchild, who did the statistics comparing
19 the aerial application of this pesticide to
20 forests, with looking at escapement or the returns
21 of these salmon, and then subsequently some lab-
22 based research, to show that a single chemical was
23 leading to the loss of millions of Atlantic
24 salmon.

25 Acid rain, a fairly simply process, but
26 devastated tens of thousands of lakes back east,
27 and notably in those cases, salmonids were much,
28 much more sensitive than perch or some of the
29 other species. So lake trout ceases to reproduce
30 below about a pH of 5.7. So as soon as lakes got
31 a little bit acidified, lake trout stopped
32 reproducing.

33 So I would say that science can be very
34 efficient, very cost-effective, and I think very
35 important in terms of providing insight that is
36 useful from a management or regulatory policy
37 perspective. But without that science, I think as
38 Mr. van Aggelen pointed out, without the science
39 we're not really knowing what we're doing if we
40 are making difficult and expensive choices on
41 upgrades.

42 That said, in a lot of cases in the past,
43 we've learned from our mistakes and those mistakes
44 were in the past. In other words, we thought DDT
45 was a miracle pesticide. We thought PCBs, they
46 were called the magic liquid by its creator. We
47 were told CFCs were non-toxic and yet they

1 destroyed the earth's ozone. We often learn these
2 lessons the hard way and after the fact.

3 Science can do as good a job as it possibly
4 can and try to be precautionous. But really,
5 science doesn't operate that way. It really
6 operates on the basis of evidence from past
7 experience or laboratory experience. So I would
8 urge a little bit of precaution as well as a
9 reliance on a weight of evidence, which is an
10 accepted paradigm for human health, a weight of
11 evidence approach where we extrapolate from
12 multiple lines of evidence to support the design
13 of wastewater treatment plants that will reduce
14 the risk for many compounds we're worried about,
15 and for other compounds for which we know nothing
16 but may become a really big problem in the future.

17 Q Thank you, Dr. Ross, and maybe, Dr. Ashley, I'll
18 leave the last word with you.

19 DR. ASHLEY: Yeah, I think there was three questions
20 there. Where does the money come from, scheduling
21 and build now or later, to sum it up.

22 Q Yes.

23 DR. ASHLEY: Number one, where does the money come
24 from? Obviously it comes from taxpayers, whether
25 it's provincial, federal or a municipal or metro
26 area. That's who ultimately pays for these things
27 and that's the cost of protecting the environment.
28 For years, we've sort of been living in -- the
29 Auditor General has reported on the sorry state of
30 infrastructure in Canada, whether it's bridges,
31 wastewater treatment plants or whatever, and
32 that's partly what some of the CCME Guidelines are
33 to do is to bring up some of these preliminary and
34 primary plants up to secondary standard.

35 So that essentially the cost of doing
36 business, particularly in B.C. because of the
37 presence of iconic species like salmon and orcas,
38 I think it's even more important that that is done
39 because I think most people in this province like
40 to see those species around, and if you ask them
41 how many extra dollars would you like to pay a
42 year so that you see salmon in the Fraser River or
43 you see orcas in Georgia Strait, most people would
44 be on side with that. So basically it's the cost
45 of doing business if you want to live in a clean
46 environment.

47 The second question was about scheduling.

1 The recommendation from the reference panel was
2 that both Iona and the Lions Gate proceed in
3 tandem, and basically because they're going from a
4 relatively crude primary state, and they
5 recommended they went to advanced wastewater
6 treatment which is tertiary or plus, and basically
7 they could be done simultaneously if the
8 amortization period to pay for the plants was
9 extended from the 15-year period which is shown in
10 the charts, which is cost-prohibitive, out to a
11 longer period.

12 The Metro Finance Committee had considerable
13 deliberations on that and decided, for some
14 strange reason, they wanted to stick to a 15-year
15 amortization period. That's puzzling when you
16 realize that some of the big infrastructure
17 projects that humans use, like bridges, like
18 wastewater treatment plants, are intergenerational
19 so they're used by two or three generations. They
20 have a 50, 60, 75-year lifespan. That it would
21 seem reasonable to have those paid out, amortized
22 over a period that was consistent with their
23 intergenerational services they provide, rather
24 than trying to pay it off quickly and inflating to
25 the price to the point you say it can't be done.
26 So things have to be done serially rather than
27 sequentially.

28 The last point was to build now or later. I
29 guess that's considering that you sit around and
30 wait for some technology to come along five, ten
31 years from now, and so you maintain the existing
32 technology at Lions Gate and Iona.

33 There's best available technology now that is
34 quite sufficient that is robust enough that the
35 future regulations which will come out of CCME,
36 because CCME might -- mind you, it's still a white
37 paper and there's tens of millions of dollars of
38 research being done around the world by
39 environmental engineers, civil engineers, on how
40 to remove these contaminants. So if you pick the
41 right design that has the right sort of
42 configuration, the add-ons that will deal with
43 these emerging contaminants, can be added on
44 fairly reasonably as compared to building the
45 wrong type of design up front, which makes it very
46 expensive to retrofit, as the case at Annacis.

47 MR. EAST: Thank you very much, and those are my

1 questions, Mr. Commissioner.

2 THE COMMISSIONER: We'll take the break, then. Thank
3 you.

4 MR. MCGOWAN: Yes, Mr. Commissioner, I was just going
5 suggest we break for lunch.

6 THE REGISTRAR: The hearing is now adjourned till 2:00
7 p.m.

8

9 (PROCEEDINGS ADJOURNED FOR NOON RECESS)

10 (PROCEEDINGS RECONVENED)

11

12 THE REGISTRAR: The hearing is now resumed.

13 MR. EAST: Mr. Commissioner, Mark East for the
14 Government of Canada. At the end of my questions
15 before the break, I neglected to mark the document
16 that I looked at as an exhibit. That's Tab 3 of
17 Canada's list of documents, CAN025061. I'd like
18 to mark that as an exhibit.

19 THE REGISTRAR: That will be marked as 1052.

20 MR. EAST: Thank you.

21

22 EXHIBIT 1052: The State of Municipal Water
23 Effluents in Canada, 2001 [Environment
24 Canada]

25

26 MR. PROWSE: Mr. Commissioner, Clif Prowse for the
27 Province of British Columbia. I have assured
28 everyone I will be extraordinarily short this
29 afternoon.

30

31 CROSS-EXAMINATION BY MR. PROWSE:

32

33 Q My first question I think I will ask of Mr. van
34 Aggelen, in particular, or Dr. van Aggelen, and it
35 has to follow up on my friend's question about
36 money and research and how do we figure out how to
37 spend things. First of all, are you aware of the
38 Canada-wide Strategy for the Management of
39 Municipal Wastewater Effluent, February 2009?

40 MR. van AGGELEN: I'm aware of it, but specifically --

41 Q You were not involved in that process?

42 MR. van AGGELEN: That's right.

43 Q You weren't involved with the --

44 MR. van AGGELEN: I was not involved in that.

45 Q You were not involved with Mr. Arnott, who will be
46 on the next panel.

47 MR. van AGGELEN: No.

1 Q And one of the recommendations in that is a
2 recommendation that a committee talk about -- a
3 federal-provincial, I think, committee, give
4 consideration to science and research projects.
5 Are you aware of that recommendation or that
6 committee?

7 MR. van AGGELEN: I'm not aware of the committee.

8 Q All right. Secondly, Mr. Lunn -- so I'm
9 referring, Mr. Commissioner, to Exhibit 14, and if
10 the witnesses might look under question 29. This
11 was a question about the federal, provincial and
12 local governments joining force to deal with
13 things on the Fraser Basin. And if you look at
14 the box on the right - I'm sorry - if you look at
15 the box on the right, you'll see reference to the
16 Fraser River Estuary Management Program. Are you
17 aware of that, or have you been involved in that,
18 Dr. van Aggelen?

19 MR. van AGGELEN: I'm aware of FREMP, yes.

20 Q And is that something you've been involved with?

21 MR. van AGGELEN: Indirectly we would have received
22 some samples from the FREMP program in the lab.

23 Q All right. And the Burrard Inlet Environmental
24 Action Plan, are you aware of that?

25 MR. van AGGELEN: I'm aware of it, but we don't
26 participate in that study.

27 Q And the Fraser River Action Plan, I think you did
28 refer to?

29 MR. van AGGELEN: Yes.

30 Q And were you -- did you participate in that?

31 MR. van AGGELEN: Yes.

32 Q And we've had reference to the, I think the
33 Georgia Basin Council.

34 MR. van AGGELEN: Georgia Basin Action Plan?

35 Q Yes.

36 MR. van AGGELEN: Yes.

37 Q Were you involved in that?

38 MR. van AGGELEN: Yes.

39 Q And we also have the Fraser Basin Council, are you
40 aware of that?

41 MR. van AGGELEN: I'm aware of it, but don't -- no
42 participation.

43 MR. PROWSE: All right. Those are my questions, Mr.
44 Commissioner.

45 MR. LEADEM: Thank you, Mr. Commissioner. For the
46 record, Leadem, initial T., appearing as counsel
47 for the Conservation Coalition.

1 And I should indicate for the record, Mr.
2 Commissioner, I have two of my clients who have
3 been present throughout this morning, who have sat
4 at counsel table with me, and they are Mr. Douglas
5 Chapman. Mr. Chapman is with the Fraser
6 Riverkeepers. He's a former Crown prosecutor from
7 Ontario, and called to the bar in B.C. He's
8 retired now. And I also have Ms. Christianne
9 Wilhelmson, who is with the Georgia Strait
10 Alliance.

11 THE COMMISSIONER: Thank you very much, Mr. Leadem.

12
13 CROSS-EXAMINATION BY MR. LEADEM:

14
15 Q I want to begin by thanking you for a very
16 interesting discussion from this morning, and I
17 hope to pick up from some of that discussion and
18 carry on. And I want to start our discourse by
19 actually looking at some general topics, and then
20 sifting through until we get to wastewater. We,
21 at the -- doing the work of the Commission,
22 generally deal with topics, subject matter, topic-
23 by-topic, and so if this is Tuesday, then this is
24 wastewater management. And so I'm trying to
25 understand in the context of more ecosystem-based
26 management, how wastewater functions or fits into
27 the general Fraser River ecosystem, and whether or
28 not you as scientists should be concerned about
29 loading, about cumulative effects, about other
30 sources of contamination, and other issues such as
31 global climate change. And I just want to throw
32 that open as a general question, because we often
33 heard so much about ecosystem-based management,
34 and people glibly talk about it, but we've yet to
35 see it really be evidenced in action.

36 So perhaps I can start with you, Dr. Ross,
37 because I found some of your comments to be very
38 interesting this morning. Do you have a reaction
39 to how wastewater fits into this general ecosystem
40 of the Fraser River?

41 DR. ROSS: Thank you. I think this morning I did
42 indicate that while wastewater treatment plants
43 represent a single entity that falls fairly
44 readily under the guise of regulatory or
45 scientific assessment and monitoring, when one
46 adds up the 90 that would be found within the
47 Fraser River watershed, as well as countless

1 others in the Strait of Georgia, even within the
2 municipal stream we start to look at a large
3 number and diversity of point source discharges.

4 My concern in restricting, you know, the
5 problematic of contaminants to wastewater
6 discharges would be indeed the fact that we might
7 ignore some other point sources of concern or some
8 other what we call non-point sources of concern.

9 Ecosystem-based management, I think, would be
10 touted as a means by which we can do a better job
11 to manage human activities as they relate to the
12 environment. And I think in that respect there's,
13 you know, I think a great deal of sensitivity and
14 awareness about the importance of the environment,
15 protecting the environment, and different
16 components of the environment, such that ecosystem
17 integrity does not fail because of the sum of a
18 thousand cuts or a thousand impacts.

19 However, it is a management tool, and
20 personally I, and professionally, I struggle a
21 little bit with trying to, I guess, prepare
22 scientific, the scientific method in support of
23 ecosystem-based management. I think there is a
24 struggle at the interface between science and
25 management that is -- there exists a tension,
26 sometimes that's by design, because science has a
27 certain paradigm it operates within, and science
28 provides peer-reviewed products through publishing
29 in the international literature, and then it
30 becomes international knowledge, gets delivered to
31 managers, policy makers, et cetera.

32 So there is a role for scientists to be
33 actively engaged in management or ecosystem-based
34 management, but I think there's also a strong need
35 for independent science, where the scientists have
36 the capacity to explore their own issues of
37 concern and to embark on discovery and to publish
38 that, and by doing so, will have peer-reviewed
39 defensible scientific insight into some of the
40 important issues of our time.

41 Touching on the issue of contaminants,
42 finally, I guess I would argue that it's hard to
43 establish certainty outside of single chemical
44 mechanistic cause and effect kind of response, and
45 generally that's done in the laboratory. However,
46 with the 23,000-odd chemicals on the Canadian
47 marketplace, of which at least 660 are of concern,

1 we end up with complex mixtures.

2 As an ecotoxicologist, I strive to understand
3 which single chemicals might be problematic, and
4 but then I also strive to make sure that my
5 understanding is placed in a ecosystem-based
6 world. And very, very difficult for regulators to
7 assess complex mixture. It's very, very difficult
8 for the guidelines people, CCME guidelines
9 development people to deal with complex mixtures.
10 And internationally, science and management have
11 really failed, I think, to adequately prepare a
12 paradigm that would address risk associated with
13 complex mixtures, i.e., the real world.

14 I argue at the end of the day that there is
15 an acceptable paradigm for pursuing the complex
16 mixtures approach, and that is through a weight of
17 evidence. That's a weight of evidence where you
18 rely on the best available evidence from single
19 chemical laboratory based studies to certain types
20 of catastrophic single chemical incidents in the
21 real world, combined with more sort of ecological
22 approaches to ecotoxicology.

23 Q Thank you for that answer. Before I move off to
24 get the views of one of your colleagues, you
25 talked a bit earlier today about the precautionary
26 approach, and I'm wondering in a world where we
27 don't know enough about the effects of both acute
28 and sublethal effects of some of these emerging
29 chemicals, how we factor in that precautionary
30 approach in terms of what are we doing in terms of
31 the regulation of these compounds, these
32 chemicals, how we are letting them into the market
33 to begin with, and how once they're entered into
34 the market, how we can deal with them,
35 particularly in the case of persistent organic
36 chemicals.

37 DR. ROSS: A difficult question to answer succinctly.
38 A precautionary approach would be -- is described
39 in Canadian law, in **CEPA** and other pieces of
40 legislation, in order to prevent undue harm or
41 impact on the environment, and often in the
42 absence of knowledge or sufficient knowledge to
43 support a certain approach.

44 My experience, I had spent about eight years
45 in Europe, my experience is the precautionary
46 approach is more protected in legislation in the
47 European community. In fact, they really refer to

1 it as the precautionary principle, because it
2 carries more weight in courts of law. In Canada,
3 I think we're somewhere between the American model
4 and the European model. But the precautionary
5 approach, as I understand it, is not really
6 applied. It's more of a preamble to legislation.

7 I think at the end of the day the
8 precautionary approach reflects societal values.
9 How acceptable would it be to release chemicals
10 that have been shown to be endocrine disrupting
11 and have been shown to cause adverse impacts on
12 salmonids or fish elsewhere. How precautionary
13 would it be to release persistent bioaccumulative
14 chemicals that we know can get into killer whales
15 and will be waiting until the end of this century
16 before killer whales are protected from PCBs,
17 that's to name one class of chemical.

18 So precautionary approach is a policy term,
19 it's a legal term, it's based on some
20 understanding of the science that's out there, and
21 it's adopted, as I would see, to reduce risk.

22 Q Thank you. I'm going to turn to you, Dr. Ashley.
23 I'm going to restate the original question that I
24 posited to the panel in this way: That you're
25 called upon to give evidence about a specific
26 topic, wastewater, and yet you have to take the
27 realization that the world doesn't operate that
28 way, that we don't just have point sources of
29 wastewater facilities operating at discrete points
30 along the Fraser. We have other sources than
31 point sources of pollution and we have sources of
32 contamination coming from the air. We have lots
33 of different loadings. How do you factor all that
34 into giving advice to this Commission in terms of
35 what we should do about wastewater.

36 DR. ASHLEY: I would follow what Dr. Ross said, is that
37 there has to be some precautionary principle or
38 where you have some sort of advanced early warning
39 radar type that you're looking at things well in
40 advance of them happening, because by the time
41 they happen, they're often too late or too costly
42 to undo. And so the type of sort of proactive
43 monitoring program would be something that would
44 be a decision that we're going to set up a
45 monitoring network on with some interdisciplinary
46 group as to what to monitor. And so it be done
47 far enough in advance that it would be like early,

1 early warning, so, because right now the whole
2 planet's changing with climate change, and so you
3 have that as a backdrop by which everything else
4 is layered on top of it from hydrology to loss of
5 pine beetle forest.

6 And so it's becoming increasingly difficult
7 to sort of manage in real time and you need more
8 lead time, and the only way you can do that is by
9 sort of intelligently figuring out what you need
10 to monitor as far in advance as possible, based on
11 literature and best emerging science.

12 Q We've heard some evidence from other scientists
13 who have preceded you to the panel about global
14 climate change, and I believe Scott Hinch came and
15 talked about global climate change, and do we know
16 enough about if there's going to be global climate
17 change which is evidenced by increasing water
18 temperature in the Fraser River. Do we know what
19 effect, if any, that might have upon some of these
20 emergent chemicals or some of these other
21 chemicals that you've been discussing, the
22 endocrine disruptors?

23 DR. ASHLEY: I don't believe so. I think most of the
24 information on temperature increases would be just
25 basically on the physiology of the fish, as Dr.
26 Hinch described. The secondary effects on dealing
27 with chemicals of emerging concern, I don't think
28 has been looked at very much.

29 Q And I'm not going to neglect you, Mr. van Aggelen.
30 Do you want to weigh in on the general question
31 about loading and how do you -- how do you deal
32 with a point source such as wastewater, knowing
33 full well that the reality of the situation is, is
34 that the Fraser River is subjected to a lot of
35 contaminants on a daily consistent basis.

36 MR. van AGGELEN: Dr. Ross summed it up quite nicely,
37 but I'd weigh in on the fact that it's the sum
38 total of the constituents that are going to elicit
39 the toxic response. So while we will be able to
40 regulate under **CEPA**, or the Chemical Management
41 Plan, you know, those chemicals that have been
42 identified through research as being particularly
43 nasty, it's once the mix gets into the effluent
44 that you have all kinds of other activities
45 happening. That we may do research on a parent
46 compound. Once it gets into a complex mixture,
47 there's all kinds of other activities that come

1 into the chemical transformation of these
2 products.

3 So I, you know, sticking to my trade, believe
4 that having robust detection techniques, or
5 systems in place that we can monitor or predict
6 the outcome of -- of the mixture before they
7 elicit or create effects on -- at the population
8 level. So I think that, you know, is hanging my
9 hat on the precautionary principle, yes, that's
10 what we should be doing for good robust science.
11 But keeping the principle that we need warning
12 tools or warning mechanisms to predict or -- and
13 also not only predict, but let the regulatory
14 agencies know that there is issues with particular
15 discharges, or point source discharges to, you
16 know, potentially eliminate effects at the
17 ecosystem level.

18 Q Thank you. This Commission was called into being
19 to -- basically because of the decline of the
20 sockeye in 2009, which was itself a reflection of
21 a consistent decline over the last decade
22 preceding that one. And I was wondering from the
23 aspect of the evidence that you've given, I seem
24 to have got the evidence from Dr. Ross, but I want
25 it confirmed again. You can't rule out that a
26 factor contributing to the decline of the Fraser
27 River sockeye is the presence of contaminants and
28 specifically contaminants that are located in
29 wastewater.

30 DR. ROSS: I don't think we can rule that out, no.
31 Absence of evidence is not evidence of absence,
32 and I think we could get into a discussion about
33 relative risks associated with different
34 practices. But I did point out this morning that
35 in other examples, in other parts of Canada and
36 the United States and Europe, we've had
37 catastrophic population level consequences
38 associated with single chemicals, some associated
39 with wastewaters, some associated with deliberate
40 application of pesticides.

41 Q All right. And, Dr. Ashley, do you have an
42 opinion on that general question of whether you
43 can rule out contaminants from wastewater as a
44 contributing factor towards the decline of Fraser
45 River sockeye?

46 DR. ASHLEY: I think there's two components to that
47 question. One is relative to 2009, the missing

1 sockeye, and one is relative to the overall stock
2 productivity over the last 30, 40 years. I think
3 the answer to: did municipal wastewater effluent
4 have sort of a smoking gun relationship to what
5 happened in the 2009 return? I don't believe so.
6 Relative to the long sort of decline in stock
7 productivity over the last 30, 40 years, it has
8 been shown that I believe there is a likelihood
9 that wastewater effluent has contributed to that.

10 Q And, Mr. van Aggelen, do you have an opinion to
11 venture on this topic?

12 MR. van AGGELEN: I would follow exactly what Ken
13 mentioned, is that, yeah, it's to specifically
14 target the 2009 decline to one event, most
15 probably difficult to do. But did wastewater
16 contaminants contribute to potentially declines in
17 populations? I would say yes, and echoing what
18 Dr. Ross mentioned about the studies of, you know,
19 in the UK on trout populations downstream of
20 municipal wastewater showing the feminization,
21 dual sex characteristics, as a consequence of
22 exposure to xenoestrogens in municipal wastewater,
23 you know, it's -- I'd say it's a strong
24 likelihood.

25 Q I'm going to now turn to some specific questions,
26 and I'm going to start with you, Dr. Ross, and see
27 if I can get a document, it's document number 4
28 from the Conservation Coalition's documents. It
29 should be something that you will recognize
30 readily, Dr. Ross, because I think you are the
31 senior author on this. It's a document entitled
32 "Large and growing environmental reservoirs of
33 Deca-BDE present an emerging health risk for fish
34 and marine mammals". Is this a paper that you
35 authored?

36 DR. ROSS: Yes, it is. It's actually a pre-print.
37 It's available in final published form in the
38 *International Journal Marine Pollution Bulletin*.

39 Q So since this document you're saying it's now been
40 published in a peer-reviewed journal?

41 DR. ROSS: Yes, that's correct.

42 MR. LEADEM: Might this be marked as the next exhibit,
43 please.

44 THE REGISTRAR: Exhibit 1053.

1 EXHIBIT 1053: Ross, Large and growing
2 environmental reservoirs of Deca-BDE present
3 an emerging health risk for fish and marine
4 mammals, updated draft
5

6 MR. LEADEM:

7 Q And I'm just going to ask you to turn very briefly
8 to page 9 of that particular document, Dr. Ross,
9 under the heading "Conclusions". And you go:

10
11 Total PBDE concentrations are increasing
12 rapidly in abiotic and biotic matrices in
13 Canada, and have surpassed the structurally-
14 related PCBs as the number one contaminant in
15 sewage, sediments and water in near-urban
16 parts of Canada.
17

18 Is that true with respect to British Columbia?

19 DR. ROSS: Yes, in simple terms, yes.

20 Q And specifically with respect to wastewater in the
21 Fraser, would that be possibly your opinion?

22 DR. ROSS: Well, I haven't -- I haven't engaged in any
23 studies of wastewater, but I have colleagues that
24 have been looking at wastewater, and I believe
25 also if one looks at the annual report from
26 Capital Regional District, there is information
27 that would suggest that PBDEs exceed PCBs readily
28 in the effluent from -- from CRD plants. And I
29 would suspect it would be similar for Metro
30 Vancouver.

31 Q The next document I wanted to put to you is
32 Commission counsel document number 10, please.
33 And this should be an email exchange between
34 yourself, amongst other parties, and a number of
35 other people, and as we go through it I'm going to
36 ask you -- this in part was reflected in what
37 we've now marked, Mr. Commissioner, I believe as
38 one of the exhibits, I believe it was 1048, the
39 memo to Robin Brown. This is, I believe a
40 precursor to that. Do I have that right, Dr.
41 Ross?

42 MR. LUNN: Mr. Leadem, sorry to interrupt. Tab 10 has
43 been marked as 1049.

44 MR. LEADEM: Oh, it has been. Oh, sorry. Thank you,
45 my mistake. If we could take you -- if I could
46 just take you to your section of that, Dr. Ross,
47 and I think the easiest way to do that is by

1 scrolling through.

2 THE COMMISSIONER: I don't think this is the document
3 you're speaking of.

4 MR. MCGOWAN: Exhibit 1048.

5 THE COMMISSIONER: 1048, thank you.

6 MR. LEADEM:

7 Q The highlights in the blue I think are yours; is
8 that correct?

9 DR. ROSS: That's correct, and that would come from
10 that same email that was cross-referenced in the
11 (indiscernible - overlapping speakers) --

12 Q All right.

13 DR. ROSS: -- exhibit.

14 Q So firstly, the first question I wanted to ask you
15 is that this provides to us lawyers a very
16 interesting insight into rule making, into
17 regulation, because as I understand it, there is a
18 very compressed timeline in which you are being
19 asked to comment upon proposed regulation. Do I
20 have that right?

21 DR. ROSS: Yes. We had no -- I was not privy to any of
22 the discussions that led to CCME strategy or to
23 the proposed regulations, or any of the discussion
24 (indiscernible - background noise). So and I
25 would be one of four contaminant experts within
26 DFO's Pacific Region. And I believe the same
27 would hold for my colleagues, as well. So leading
28 up to the email we're in, we were requested by our
29 National Headquarters to review the proposed or
30 the Draft Wastewater Stream Effluent Regulations
31 under the **Fisheries Act**. We had a matter of two
32 or three days to review all of these regulations,
33 comment and have that sent back to NHQ.

34 Q So looking at this, at your extract, I want to
35 begin with the paragraph that says:

36
37 That said, the proposed regulations lack
38 clarity (at least for me) on the following
39 scales:...

40
41 And then you talk about:

42
43 - the list of end points of concern is
44 restricted to BOD matter, suspended solids,
45 residual chlorine, and un-ionized ammonia.
46 These are with little doubt of concern in a
47 sensitive receiving environment, and are

1 cheap and easy to monitor.

2
3 Then you go on to say:

4
5 However, the only mention of other entities
6 of concern (e.g. pharmaceuticals and personal
7 care products, PCBs, PBDEs, E coli, other
8 pathogens) is in the 'anticipated benefits'
9 of secondary treatment.

10
11 And you go on to say:

12
13 There appears to be no legal requirement to
14 monitor for these, consider their fate in the
15 receiving environment, or document the way in
16 which treatment will help 'resolve' these
17 issues in either the effluent or the retained
18 sewage sludge.

19
20 Do you know if your concerns are actually
21 reflected in the final document that -- or is it
22 still in draft form?

23 DR. ROSS: As I understand it, none of our comments
24 were incorporated into the revised **Wastewater**
25 **Stream Effluent Regulations**.

26 Q You go on to say:

27
28 - monitoring is to be carried out by the WWTP
29 operators... --

30
31 - that's wastewater treatment plant operators -

32
33 -- I don't need to mention the fox in the
34 henhouse...

35
36 So it seems to me that you've got some concerns
37 about the people who are regulating being also the
38 monitors, is that -- or the regulatees being the
39 monitors.

40 DR. ROSS: Well, you know, it's an interesting -- this
41 was an interesting exercise to me, because as a
42 scientist I was asked to carry out a peer review,
43 which is to evaluate, you know, the scientific
44 defensibility of this document or its
45 implications. And of course, as a scientist, I
46 like to have independence, I like to have peer
47 review, I like to have high quality data, I like

1 to be able to access that data in order to review
2 it. So if I make comments that have implications
3 for the management or the application of law, it's
4 because I as a scientist view the issue to have
5 relevance in terms of either our understanding of
6 impacts to the environments or understanding of
7 the quality of the effluent.

8 So I think in terms of these proposed
9 regulations, there were some grey areas that made
10 it a little bit unclear to myself how the data
11 would be collected, critically evaluated, that's
12 part of the peer process to me as a scientist, and
13 then acted upon.

14 Q And carrying through with some of the other text,
15 if I can -- there's a heading "Cooperation between
16 the two departments is lacking". I don't -- there
17 it is. Just before that bold sentence, there is
18 "From the Office of the Attorney General (2009)",
19 that should read "Auditor General's Office", is
20 that fair?

21 DR. ROSS: That's correct.

22 Q And then you talk about cooperation between the
23 two departments, and the two departments being the
24 Department of Fisheries and Oceans and Ministry of
25 the Environment, Environment Canada; is that
26 right?

27 DR. ROSS: That's right. This is actually a verbatim
28 excerpt from Sheila Fraser's Auditor General
29 Report, 2009, the chapter on the **Fisheries Act**, as
30 I recall.

31 Q And have you encountered that in your work where
32 I'm going to call it the left hand and right hand
33 problem, where Canada has two departments and
34 they're not quite connecting. Have you
35 encountered that in your work?

36 DR. ROSS: I think when one looks at environmental
37 contaminants, one quickly realizes that
38 jurisdictionally they're going to be difficult to
39 handle, because they involve everything from human
40 health to the health of wildlife in the ocean, on
41 land, potentially the activities of mines and
42 mills and factories and urban centres, many, many
43 different jurisdictions. And I think it's safe
44 for me to be able to say that I have struggled
45 upon occasion with understanding, first of all,
46 who is responsible for what, and second of all,
47 what I as a scientist am expected to carry out in

1 support of the mission of my primary employer, or
2 my sole employer, which is Fisheries and Oceans
3 Canada.

4 I think this Auditor General's Report
5 itemizes a major case in point, and that is if one
6 is a scientist working on environmental
7 contaminants, and one is worried about the health
8 of salmon or killer whales or shellfish, then one
9 can either deal with the natural resource
10 consequences of that, which would be readily in
11 the purview of Fisheries and Oceans Canada, or
12 deal with single point discharge of effluent from
13 multiple sources, which would be more readily in
14 the purview -- under the purview of Environment
15 Canada and the province.

16 Q And I'm going to turn to you, Mr. van Aggelen.
17 Have you noticed in your job that there seems to
18 be some disconnect between Environment Canada and
19 DFO in terms of specifically maybe s. 36(3) of the
20 **Fisheries Act**?

21 MR. van AGGELEN: Certainly not specifically with
22 36(3), because that's largely the mandate with
23 which the Department or the folks I work with in
24 the Department works under. That's pollution end
25 of the pipe. So our, you know, certainly from the
26 perspective of the work that I'm involved in, in
27 proving non-compliance to 36(3) it's, you know,
28 kind of the order of the day for us, or with the
29 groups that I work with, Environment Canada. So
30 it's clearly defined as what -- what that is.

31 Q So aside from where you have got that interplay
32 where you have to talk to DFO because there is a
33 provision in the **Fisheries Act** that as I
34 understand Environment Canada is mandated to
35 actually take charge of those deleterious
36 deposition provisions under the **Fisheries Act**. Do
37 I have that right?

38 MR. van AGGELEN: That's correct.

39 Q All right. Aside from that, is there continual
40 communication between DFO and EC in terms of how
41 you're conducting your business? Are there
42 regular meetings between your managers, and things
43 of that nature?

44 MR. van AGGELEN: Certainly in my capacity as a lab
45 manager, no. In days gone by, and I would say
46 when I first started with Environment Canada in
47 the early '90s there was a lot more between our

1 lab, and the -- and the DFO lab in West Vancouver,
2 which was, I guess, the home of the pollution, the
3 Pollution Control Group for DFO. There was a lot
4 more, you know, interchange, if you want to call
5 it that, but I would say in the last ten years,
6 limited to no contact.

7 Q I'm going to now turn to you, Dr. Ashley. I don't
8 know if you have any comments on some of the
9 discussion I've been having about the intersection
10 or lack of intersection between the two government
11 Departments, whether you have any specific
12 knowledge of that, or not. If you have any
13 comments, though, I'd like to hear them now.

14 DR. ASHLEY: No, I have not been involved in that sort
15 of area for a few years now.

16 Q I want to turn to Commission document number 21,
17 which I think is a slide show, or slide deck. Is
18 this something that you prepared, Dr. Ashley?

19 DR. ASHLEY: Yes, I was asked to speak at the Summit on
20 Fraser Sockeye by SFU, so I put this together for
21 them.

22 Q All right. And so you were called upon
23 specifically to deal with wastewater treatment
24 pants; is that correct?

25 DR. ASHLEY: It was the general effects of contaminants
26 in sewage and their possible effect on sockeye,
27 yes.

28 Q All right. I want to go through some of these
29 with you. And if I can get the third slide in, it
30 should be "Emerging concerns in wastewater". So
31 you talk there about the endocrine disruptors we
32 heard some evidence about those, and you identify
33 some of them there. And some of the personal care
34 products, what are POPs?

35 DR. ASHLEY: Persistent organic pollutants.

36 Q And then you talk also about nanoparticles, and
37 Dr. Ross talked about those earlier today. Those
38 are an emerging concern, are they?

39 DR. ASHLEY: Yes, they are.

40 Q And then we carry on, you provide a definition two
41 slides after that to "What are Endocrine
42 Disruptors?" Is that your definition, or did you
43 get that from the literature somewhere?

44 DR. ASHLEY: That's sort of an accepted literature
45 definition. You know, it's just the point there
46 was just to stress that what low concentrations
47 endocrine disruptors can exhibit an effect at,

1 which are lower than the sort of range that
2 typical more conventional toxicant chemistry dealt
3 with at the parts per million or parts per billion
4 concentration.

5 Q And you itemize that by saying:

6
7 Parts per trillion = 1 second in 30,000
8 years.
9

10 That's a graphic illustration of what we're
11 talking about and how minute of a particle this
12 can be; is that right?

13 DR. ASHLEY: Yes. Most people don't -- have difficulty
14 relating to a part per million or a part per
15 billion, so when you put it in a time perspective
16 like that, it makes it easier to understand how
17 small these concentrations are.

18 Q Now, two slides down from that, you've a got slide
19 entitled "Removal efficiencies at WWTPs", which I
20 found to be really quite interesting, and it deals
21 with activated sludge versus trickling filter
22 plants. And you say:

23
24 Over half of the frequently detected EDCs
25 were reduced by 95% or more by Activated
26 Sludge plants.
27

28 Whereas:

29
30 ...10% of the EDCs were reduced by 95% at the
31 Trickling Filter plants.
32

33 So as I understand your evidence, you said Annacis
34 Island was a trickling filter plant; is that
35 right?

36 DR. ASHLEY: Annacis and Lulu Island.

37 Q And Lulu. So if we're going to go ahead with some
38 form of secondary treatment for Iona, you would
39 certainly recommend activated sludge over
40 trickling filter; is that fair?

41 DR. ASHLEY: That's correct.

42 Q The next slides talk about what you've already
43 discussed in your evidence, primary treatment,
44 secondary treatment. And then you talk about, I
45 think this is slide 10, "Effect of WWTP design:
46 2007 study in England". What was this slide meant
47 to depict?

1 DR. ASHLEY: It was along the same lines. This was
2 research that I did while I was working for Metro,
3 because I was concerned about the design of the
4 Annacis plants, and so I had a -- I obtained some
5 funding and had a literature review done. I did
6 my own, and then had a resident Ph.D. expert who
7 had written her thesis on this to find out if
8 there were any treatment plants that were more or
9 less effective at removing endocrine disruptors
10 and emerging chemicals. And it just so happened
11 at that time in 2007 some of the first major sort
12 of integrative studies were coming out at the same
13 time, one from Europe, and then one from North
14 America, and both coming to the same conclusion,
15 that trickling filter plants, because of their
16 shorter hydraulic and solid residence time, were
17 less effective at removing endocrine disruptors
18 and emerging chemicals.

19 Q And a couple of slides after that, I find a slide
20 saying "Effects on salmon migration?" If you can
21 go there, Mr. Lunn. Thank you. So you say there
22 something about "olfactory imprinting". Could you
23 tell the Commissioner why that is important in the
24 context of wastewater compounds and chemicals?

25 DR. ASHLEY: This was a concept that came up as I was
26 researching this, that realizing that when salmon
27 are smolting, they're going through some complex
28 physiological changes, where they're both getting
29 prepared for -- for life in a marine environment,
30 rather than a freshwater environment, but there's
31 some important developmental changes going on
32 internally in the fish.

33 And the current belief is that during the
34 smolting process, that there are sensory olfactory
35 cells are actually being formed at that time, and
36 it's almost like a data logger as they're moving
37 downstream. So they're actually growing sensory
38 olfactory cells so they can essentially record
39 what the odour of the stream was as they're moving
40 downstream. So that when they get back on the
41 freshwater phase of their return environment,
42 they'll be able to find their way back to their
43 natal stream. And seeing that the -- on the next
44 slide or two there, that shows that thyroxine is
45 the hormone that's elevated at that time, that
46 triclosan, which is one of these emerging
47 endocrine disruptors, is also a thyroid hormone

1 disruptor. And so this was just basically
2 speculation that this may be one reason that may
3 confound the olfactory imprinting process that
4 takes place during smolt migration, that this type
5 of chemical may be causing some problems with the
6 olfactory imprinting of out-migrating smolts.

7 I've never read any research on it and it's
8 purely speculative.

9 Q All right. But we do know, for example, that all
10 the Fraser River sockeye smolts out-migrate and go
11 past Annacis Island, Lulu Island, and to some
12 extent out to the Strait of Georgia where they may
13 be subjected to the discharge from Iona. Is that
14 fair to say?

15 DR. ASHLEY: That's correct. As they move down the
16 Fraser River from whatever natal stream, they
17 would be -- they would be subject to all of the
18 contaminants, whether it be pulp mill or various
19 wastewater treatment plants, all the way down the
20 Fraser from Prince George, you know, Lytton,
21 Lillooet, Hope and down to Mission, ultimately to
22 the Fraser Estuary.

23 Q And then if we go to the end of the slides, I just
24 wanted to talk very briefly about this ammonia
25 issue that you discussed in your evidence earlier
26 today. And I think if we go five slides from the
27 back, we'll get a graph there. This graph is:

28
29 Figure 3-1: Annacis Island WWTP - Ammonia
30 Concentration versus pH Value.

31
32 What do you -- what's this graph depicting?

33 DR. ASHLEY: The point was there to show that line was
34 the threshold, the threshold toxicity
35 concentration for ammonia as a function of pH, and
36 just showing where Annacis wastewater treatment
37 plant in an effluent grab was positioned, relative
38 to that -- relative to that line. So anything
39 that was presumably to the right of that line,
40 would have been -- would have been acutely or
41 chronically lethal.

42 Q And do you remain concerned that this could be a
43 problem for acute lethality in sockeye or any
44 other salmonid that's swimming by at the time that
45 you had these low flows?

46 DR. ASHLEY: Yes, I do.

47 Q I'm going to turn to you, Mr. van Aggelen, and

1 talk a bit about toxicogenomics, and I think you
2 have Dr. Ashley to thank for -- for your presence
3 here, and I'm going to thank Mr. East for making
4 you available. And maybe by explanation, Dr.
5 Ashley, you were one of the reviewers for the
6 Donald Macdonald paper Expert Report number 2 to
7 this Commission, were you not?

8 DR. ASHLEY: That's correct.

9 Q And maybe just turn very briefly, Mr. Lunn, to
10 Exhibit 826, pages A-11, A-13, I think. So it's
11 in the appendices of that exhibit. I think if you
12 scroll down a little bit further you'll get a
13 sequence of slides, or some extracts. There we
14 go. And just the text preceding it, just to lead
15 into that.

16 So I think it's -- you start to talk about
17 aquatic toxicological testing, and then you go on
18 to say that Mr. Macdonald should take a look at
19 toxicogenomics; is that right, Dr. Ashley?

20 DR. ASHLEY: That's correct.

21 Q And if we just look at the slides very briefly.
22 You provide an explanation, basic explanation of
23 what's going on with respect to -- and maybe you,
24 with the benefit of Mr. Aggelen, could walk us
25 through these slides. Because I asked Mr.
26 Macdonald about it, and he was unable to do so.

27 DR. ASHLEY: Well, these are -- these are Graham's
28 slides, so I think he should best walk you through
29 it.

30 MR. van AGGELEN: All right. Toxicogenomics is
31 basically a catchall phrase for the application of
32 genomic methods or the genome. The genome is
33 composed, as you see on the slide here,
34 transcriptomics, proteomics or metabolomics. And
35 that's each representing a different level of
36 organization within the cell, moving from the
37 whole DNA base down to a protein base and the
38 metabolome.

39 What we do or what I have been doing is using
40 mostly transcriptomics, or of expression to
41 determine if there are -- the fish are eliciting
42 effects as a consequence of exposure. Proteomics
43 and metabolomics are much more in-depth and much
44 more precise measure of molecular activity. My
45 lab is not concentrating on proteomics or
46 metabolomics. As I say, we're working on
47 transcriptomics for gene array expression

1 profiles.

2 Q If we could just turn to the last slide, because I
3 think that tells us -- I think there's one more,
4 Mr. Lunn. So that basically describes the
5 approach that you take; is that right, Mr. van
6 Aggelen?

7 MR. van AGGELEN: Yes. Yes. It's a common, like I
8 say, what I would say classical environmental
9 toxicology combining genomic applications and then
10 looking at chemical analysis to arrive at a more
11 complete picture of what could be happening as a
12 consequence of exposure.

13 MR. LEADEM: Now, I was going to do this tomorrow, Mr.
14 Commissioner, with the panel, but I wanted to take
15 advantage of this panel's expertise to see if they
16 can interpret for me some of the data that's
17 contained in reports from Iona Island WWTP
18 effluent. I've shown Mr. East these reports, and
19 I've shown Commission counsel. They're not on my
20 list of documents, but I intend to put them into
21 evidence through a witness tomorrow. But I want
22 to get one of these witnesses to interpret some of
23 the data that we see here.

24 Q So I'm advised that my client obtained these by
25 going online and essentially getting reports that
26 were available through the Internet from
27 "...Monitoring Results for Operating Certificate
28 Sampling Location: Iona Island WWTP Effluent".
29 And what I want to focus on, looking at the first
30 report, which is dated June 2010 report, is
31 there's various columns, and there's one column
32 entitled "96 Hour LC50", and in bracket "(%v/v)".
33 And then if you follow down that column, and look
34 into the row for June the 22nd, 2010, you see
35 there that there's a number "81". Do you have --
36 do you have me so far?

37 MR. van AGGELEN: Yes.

38 Q What does that -- what is that, or what does that
39 mean? What does that "81" mean?

40 MR. van AGGELEN: Okay. Just for the definition at the
41 top of the column.

42 Q Yes.

43 MR. van AGGELEN: The "96 Hour LC50" stands -- is
44 defined as the over a four-day period, or 96
45 hours, the lethal concentration that causes 50
46 percent mortality to the test population. So in
47 short, Your Honour, there's a series of how the

1 test is performed is there's a series of cascading
2 concentrations. Usually they'd be 100 percent, 50
3 percent, 25 percent, et cetera, et cetera. And
4 then over and into that test solution, ten --
5 usually ten under-yearling trout are added and
6 then what is over the course of 96 hours, the
7 analyst would determine the concentration of
8 effluent which caused 50 percent of them to die.
9 So if all the fish died in 100 percent
10 concentration, and none of them died in the 50
11 percent concentration, the LC50 would be the
12 median point between the 100 and the 50 percent.

13 And that is what's been done here to get this
14 value of 81 percent. That some series of
15 concentrations has been set up where they have
16 calculated that the lethal concentration causing
17 50 percent mortality to the test organisms is 81
18 percent.

19 Q All right. Now, in terms of passing or failing,
20 do you know -- can you describe it in terms of --
21 is that a good number or a bad number, or...

22 MR. van AGGELEN: Under the **Fisheries Act** it's at a 100
23 percent concentration greater than 50 percent of
24 the fish must survive. So this is a -- this is a
25 failure.

26 Q So this is a failure.

27 MR. van AGGELEN: Yes.

28 Q All right. And if I could just do one more with
29 you, looking at July, 2010 report, the next page,
30 once again focusing on the 96 Hour LC50 percent,
31 looking at the data for July the 14th, 2010, I
32 find the number "65". Once again that would be a
33 failure, would it?

34 MR. van AGGELEN: That's correct.

35 Q All right. Are any of you familiar with the
36 benthic environment that exists below the
37 outfalls, either at Iona, or Macaulay Point,
38 Clover Point, and if so, can you offer any
39 comments about the benthic environment and how it
40 may or may not have been modified as a result of
41 the outfall?

42 DR. ASHLEY: I have no knowledge of the Macaulay Point
43 outfall, but I've looked at some of the pictures
44 of the transect along the 80-metre contour off the
45 Iona effluent, which I believe there's 17
46 monitoring stations, some to the south, and some
47 to the north. And so basically what shows up is

1 where the twin outfall pipes discharge, there's a
2 zone of considerable organic enrichment, and it's
3 sort of a bell-shaped curve that tapers off north
4 and south as it gets further and further away from
5 the outfall.

6 The main observations was some of the
7 colouring in some of the clams was there was sort
8 of rust colour in them, indicating that the
9 sediments had low oxygen concentration, and there
10 was iron staining in some of the clam shells.
11 There was a different species composition, ones
12 that were more tolerant, the closer you got to the
13 pipe they were more tolerant of low oxygen
14 conditions. The usual type of effect you'd expect
15 to see in a zone of organic enrichment in a marine
16 outfall.

17 Q Dr. Ross, do you have any comments?

18 DR. ROSS: I think a couple of things that I would -- I
19 would offer up. One would be there are some major
20 differences between Capital Regional District
21 receiving environment and sort of the Strait of
22 Georgia, wherein Iona and Lions Gate, in
23 particular, empty directly, and that is that from
24 the Metro discharges the plumes enter into an area
25 of high sedimentation. So there's a very big load
26 of fines and particles coming down the Fraser
27 River that would be considered as natural. These
28 fines, these particles will be burying things over
29 time, and the receiving environment, despite being
30 tidal, and having some other currents associated
31 with freshwater discharge from the Fraser, there
32 would be burial over time. And that's, of course,
33 what I think the natural design of the receiving
34 wastewater is, and that is we hope that these
35 things will be buried or degraded over time.

36 Capital Regional District, in contrast, is a
37 much more active zone. The Macaulay and Clover
38 Point discharges, they both discharge
39 approximately 60 metres depth, so similar to Iona.
40 But the oceanography is such that it's a very
41 active zone and there's very little sedimentation.
42 So there's a much more limited fingerprint left
43 behind in the local receiving environment. And a
44 lot of the discharge is dispersed, and that would
45 include with these, for these contaminants, well,
46 more dispersed, less of a sedimentation record,
47 less burial, whereas Metro more burial, more

1 sedimentation. And in both cases there are
2 reports of obvious, there's solids ending up in
3 both environments, and there are some, as Dr.
4 Ashley noted, some effects on benthic community
5 structure.

6 Some alterations have also been noted in CRD
7 annual reports from Macaulay and Clover Points.

8 MR. LEADEM: Thank you.

9 DR. ROSS: I think that encapsulates (indiscernible -
10 overlapping speakers).

11 MR. LEADEM: Thank you, Mr. Commissioner. Those are my
12 questions.

13 THE COMMISSIONER: Thank you.

14 MR. MCGOWAN: It might be a good time for the afternoon
15 break, Mr. Commissioner.

16 THE COMMISSIONER: Thank you.

17 THE REGISTRAR: The hearing will now recess for ten
18 minutes.

19

20 (PROCEEDINGS ADJOURNED FOR AFTERNOON RECESS)
21 (PROCEEDINGS RECONVENED)

22

23 THE REGISTRAR: The hearing is now resumed.

24 MR. MCGOWAN: Yes, Mr. Commissioner. Ms. Brown will be
25 next for the First Nations Coalition. But just
26 perhaps before she starts, there were two exhibits
27 referred to by Mr. Leadem which have not been
28 marked, and I am going to suggest that they be
29 marked. The first is this Speaking for the Salmon
30 PowerPoint presentation, and the next is the
31 monitoring results, which were referred to and
32 which I understand are now available in electronic
33 format.

34 THE REGISTRAR: Speaking for the Salmon will be marked
35 as 1054, and the second document, 1055.

36

37 EXHIBIT 1054: Ashley, Contaminants in
38 Sewage, Presentation for Speaking for the
39 Salmon - Summit on FRSS, March 31, 2010
40 [PowerPoint]

41

42 EXHIBIT 1055: GVS&DD Monitoring Results for
43 Operating Certificate, Iona Island WWTP
44 Effluent, June-October 2010

45

46 THE COMMISSIONER: Ms. Brown.

47 MS. BROWN: Thank you, Mr. Commissioner. For the

1 record, Anja Brown, and with me is Crystal Reeves.
2 Mr. Commissioner, I expect to be approximately 30
3 minutes in my cross-examination. And for the
4 benefit of the panel, we represent the First
5 Nations Coalition. The coalition is comprised of
6 a number of First Nations from the Fraser River,
7 as well as Fraser River fishing organizations,
8 Fraser River aboriginal fishing organizations,
9 that is, as well as the Council of Haida Nation,
10 and also some of the Douglas Treaty First Nations.
11

12 CROSS-EXAMINATION BY MS. BROWN:
13

14 Q Now, last week this Commission heard evidence from
15 Dr. Robie Macdonald about the 2005 wind down of
16 the Toxic Chemicals Research Program at DFO. And
17 we heard from Dr. Macdonald about the importance
18 of that program and also how there's been really
19 very little research done in that area by DFO
20 since that time. Dr. Ross, do you agree with that
21 general statement?

22 DR. ROSS: In general I would agree with that
23 statement. The Environmental Sciences Strategic
24 Research Fund, ESSRF, which was the primary pot of
25 research funds available to us contaminant experts
26 within DFO, allowed for a wide range of proposals
27 to be entertained. And even though it was a
28 science-based peer reviewed funding envelope, it
29 demanded of us, as we proposed research projects,
30 it demanded of us to identify the stakeholders and
31 the client groups in such a way that not only
32 would we be doing cutting edge science, but it
33 would also be meaningful. And we were able to
34 partner with a number of organizations or habitat
35 staff within DFO Pacific Region, but also
36 occasionally with First Nations communities and
37 other government agencies.

38 Q The Commission also heard from Dr. Paradis, who
39 was part of the team that implemented the
40 dismantling of the Toxic Chemical Research
41 Program. And his evidence was that the funding
42 wasn't lost so much as moved from one research
43 program to another area. Do you agree with that?

44 DR. ROSS: Well, I can't speak to where the money went.
45 I can only say that prior to 2005 we had
46 approximately \$5.4 million per year nationally,
47 and it was for Canada's three oceans to embark on

1 research that dealt with contaminants, but also a
2 number of other environmental sciences projects.
3 Of that about \$1.2 million per year was made
4 available to Pacific Region scientists. And
5 during program review, it was decided with some
6 attempts to provide guidance on the part of
7 scientists, it was decided that contaminant
8 research was not something that was required of
9 DFO, and that that was largely related to point
10 source discharge under s. 36 of the **Fisheries Act**,
11 and that was the purview of Environment Canada.

12 So there was a rationale given, the monies
13 disappeared from things that I understood or I had
14 access to as a scientist, and I can't speak to
15 where those funds ended up going.

16 Q So has the dismantling of the Toxic Chemicals
17 Research Program affected the work that you do and
18 your Department?

19 DR. ROSS: With little question, the loss of this
20 program has meant that my job as a scientist has
21 become more difficult. I have been very
22 successful at raising money, both from within
23 Fisheries and Oceans Canada, and also from other
24 government agencies, as well as outside groups.
25 But most of these projects tend to be highly
26 targeted projects within Fisheries and Oceans
27 Canada.

28 I would point to the National Pesticide
29 Research Fund. That's \$300,000 per year
30 nationally, that's targeted at only looking at
31 effects of single pesticide chemicals on the
32 health of fish. No complex mixtures, no real
33 world.

34 I could point to the Federal Contaminated
35 Sites Action Plan that has an interest within DFO
36 and other government Departments at reducing
37 liabilities associated with contaminated sites.
38 Those would be -- those would be federally
39 designated contaminated sites. That has helped us
40 to carry out some what I consider to be good
41 research, albeit targeted.

42 I would also point to the **Species at Risk Act**
43 that recognized very quickly that our southern
44 resident killer whales are endangered, and one of
45 the three major concerns are very, very high
46 levels of PCBs and other persistent compounds and
47 they have supported some of the research that I

1 carry out.

2 We've also been fortunate to work with Indian
3 and Northern Affairs and Health Canada, where
4 there's a shared interest in looking at
5 contaminants in traditional foods and this would
6 be shellfish, salmon, harbour seals, and some
7 other species.

8 So I feel as though at the end of the day the
9 few members of the research community within the
10 federal family have been able to do what I hope is
11 a decent job, albeit one that is constrained by
12 the view that contaminants really are not the
13 responsibility of Fisheries and Oceans Canada, and
14 in my view -- well, in my view, the Environmental
15 Sciences Strategic Research Fund or the Toxic
16 Chemicals Program allowed scientists to seek out,
17 using their own expertise, the problems, the hot
18 topics, the data gaps, whereas now that sort of a
19 mantra has disappeared, and that does make it a
20 little bit more challenging to support research on
21 areas considered to be important to me.

22 Q I think that really answers, perhaps, what would
23 have been my next question, which was whether the
24 dismantling of the program in 2005 has been one of
25 the reasons why we have these gaps in the data
26 that you and your colleagues have given evidence
27 about today, with respect to the absence of
28 evidence specific to the effects that contaminants
29 and in particular wastewater have on salmon.

30 DR. ROSS: I'm not sure what the question was exactly
31 to that, but --

32 Q Is it one of the reasons why there are gaps in the
33 data now, six years after the dismantling of the
34 program.

35 DR. ROSS: I think there's little question, you know,
36 I've mentioned it this morning, I think scientific
37 research is the way to go if one is to make wise
38 management decisions, if one is trying to
39 understand what's happening in the real world.
40 That's the radar, or those are the eyes at street
41 level to understand what's going on in the natural
42 world.

43 In tandem with the loss of the toxic
44 chemicals program and our research mandate, we did
45 also lose the Water Quality Unit at our Habitat
46 Branch, and those were the people with street
47 smarts, those were the people that knew all about

1 land use and practices, and were able to see the
2 consequences of certain actions. Often as a
3 scientist one is behind a computer in the library
4 looking at the problems in other parts of the
5 world, and not on the water all the time. So our
6 Habitat colleagues, the biologists and staff
7 there, and I believe there were only three of
8 them, they were an encyclopaedia of knowledge that
9 helped to guide our approaches to devising
10 important research questions, et cetera.

11 So I think if we look at the last six or
12 seven years, had we had six or seven years with --
13 with a more clear mandate and a structured set of
14 opportunities to embark on research that might
15 have given us more answers, then, yes, we would
16 have -- we would have more confidence from which I
17 think I could speak today, or others could speak
18 today.

19 Q Have the concerns that you've expressed just now,
20 have those concerns been passed on to any of the
21 people that you report to within the Department?

22 DR. ROSS: Yes.

23 Q And has there been any follow-up to those
24 concerns?

25 DR. ROSS: When program review started in approximately
26 2004, the contaminant scientists within DFO
27 nationally were invited to a series of workshops.
28 One was in Ottawa, one was in Toronto, and those
29 were the only two formal workshops, and we were
30 told that we were going to lose our research
31 funding envelope, and but that it would -- the
32 program would be re-launched and retooled based on
33 our expert, you know, opinions and a new
34 framework. And that the focus under program
35 review would become the biological effects of
36 contaminants rather than simply contaminants,
37 which could be simply measuring chemicals in a
38 fish, or something that would more likely be the
39 purview of Environment Canada or Health Canada, if
40 it were a health risk.

41 So there were formal workshops in which we
42 were asked for our advice, and we wrote a series
43 of white papers. Two of those white papers have
44 appeared in scientific literature led by Rob
45 Macdonald with a number of coauthors. I wrote a
46 white paper on Priorities for Research for Fish
47 and Marine Mammal Health, and that became a DFO

1 Technical Report. And those were the three white
2 papers that came out of that.

3 In consequence there was some deliberations,
4 and we never heard back from National Headquarters
5 on our recommendations for a revitalized toxic
6 chemical program that would focus on biological
7 effects associated with contaminants.

8 Q My next question is both for Dr. Ross and for you,
9 Mr. van Aggelen, and it's in relation to the
10 questions that you responded to, Dr. Ross to Mr.
11 Leadem before the break in relation to the
12 disconnect or lack of communication between DFO
13 and Environment Canada. And I'll start with you,
14 Dr. Ross, if you have any recommendations as to
15 how that could be improved.

16 DR. ROSS: Well, I think there are a number of
17 jurisdictional things here that have to do with
18 policies and laws that I may or not be privy to.
19 I'm a scientist, and I think in the past within
20 DFO we've had a core group of four research
21 scientists and numerous support staff, as well as
22 collaborations with graduate students, colleagues
23 and Environment Canada, universities, and we have
24 a pretty decent understanding of what we feel to
25 be the mission of the Department of Fisheries and
26 Oceans.

27 As just mentioned, we did have very good -- a
28 very good collaborative approach to discussions at
29 formal and working levels with our Habitat staff,
30 and our Habitat staff had, as I understand it,
31 very good connections with their counterparts in
32 Environment Canada, such that I think that the
33 issues related to s. 36 were probably decided upon
34 in close consultation. So at the habitat,
35 stewardship, conservation, conservation protection
36 level, that would be more the Habitat Branch,
37 obviously discussions there would be -- is
38 something that would be useful, but outside my
39 purview.

40 My impression, and I'd have to defer to my
41 colleague, Mr. van Aggelen, here, my impression is
42 that when -- when we were just decoupled from our
43 contaminant research mandate, it was because
44 Environment Canada was to do this or pick up the
45 slack. And my understanding was that that has not
46 taken place.

47 But there was a debate within this program

1 review as to what exactly s. 36 meant. Section 36
2 to me means end of pipe discharge and the release
3 of a point source deleterious substance into fish
4 habitat. What I study are fish that contain
5 hundreds of chemicals from countless point sources
6 throughout their life history, or killer whales,
7 or harbour seals that also encounter countless
8 sources related to non-point source or multiple
9 points, point sources. So I think there's a very
10 big difference between looking at s. 36 under the
11 guise of the end of pipe, versus what a sockeye
12 salmon or a killer whale or a Dungeness crab are
13 exposed to.

14 So when we're looking at research, we
15 typically want to look at what are the
16 implications for population. So we're going to be
17 a little bit more removed from the end of pipe,
18 whereas the monitoring and regulatory and
19 enforcement aspects will be dealing more with end
20 of pipe.

21 So there are a couple of issues that are
22 important there. And I think dialogue both at a
23 scientific working level, as well as the habitat,
24 conservation protection level is going to be
25 important, as well as clarification, as has been
26 outlined, I think, fairly robustly in the Auditor
27 General's report in 2009, is that clarity would --
28 is needed for scientists within both the
29 Department of Fisheries and Oceans and Environment
30 Canada to enable us to do our jobs.

31 Q Do you have anything to add, Mr. van Aggelen?
32 MR. van AGGELEN: Not really. I think Peter has summed
33 it up very nicely. And just that, yeah, the
34 distinction is largely end of pipe is kind of what
35 I'm involved with and looking at, and again as
36 Peter, Dr. Ross mentioned, looking at receiving
37 water effects on those associated animals.

38 As a means to -- as a suggestion to do
39 something, maybe a closer liaison with, between
40 the two Departments, because as was mentioned when
41 Fisheries dismantled their program at the West
42 Vancouver lab, largely we lost kind of the
43 collaboration that existed between my lab and the
44 folks in DFO, the scientists in DFO that were
45 doing similar or corresponding type of research.
46 Fellows like Dr. Kruzynski, Dr. Bertwell, those
47 people that were doing the kind of pollution-based

1 effects research on salmon and things like that.
2 So there was a nice, you know, there was a nice
3 connect and there was a lot of collaboration and
4 communication between our two groups at that
5 conjuncture.

6 MS. BROWN: Mr. Lunn, could you turn up, please, PPR
7 number 15, please. And if we could go to page 51,
8 please. This is a section of the PPR that looks
9 at water quality guidelines and objectives. And
10 paragraph 136 talks about the Compendium of
11 Working Water Quality Guidelines for British
12 Columbia, and it indicates there that:

13
14 These guidelines take into account site
15 characteristics that may influence the toxic
16 action of...[substances] of concern.

17
18 It goes on to say that the:

19
20 The 2006 *Compendium* are working guidelines.
21 They provide benchmarks for substances that
22 have not yet been fully assessed and formally
23 approved by the Province.

24
25 And they go on to say that:

26
27 They reflect guidelines from various [other]
28 Canadian and North American agencies...

29
30 Q So the question is, in the course of the work that
31 you do, and this is really directed at all three
32 of you, how would information that you develop in
33 the course of the scientific studies that you do,
34 either through Environment Canada or through DFO,
35 or through the work that you do, Dr. Ashley, how
36 does that kind of new scientific information make
37 its way into guidelines that are in the process of
38 being developed. If I could start with you, Mr.
39 van Aggelen.

40 MR. van AGGELEN: With respect to guidelines, if there
41 is a specific chemical or parameter that CCME has
42 identified, and Environment Canada has
43 representation on that, they would come or
44 approach my lab to see if we could perform some of
45 the toxicological analysis required to fulfil the
46 obligations of determining a water quality
47 criteria value for that specific chemical. So

1 there are, you know, provisions in there. So and
2 they, the CCME guidelines, they have a very --
3 it's a very prescribed method of how a guideline
4 is derived. It's a representative species from
5 different trophic levels, water quality conditions
6 and things like that. So that principally it's,
7 to use the term, a cookie cutter approach to
8 determine the water quality effects of a given
9 chemical.

10 Q Do you have anything to add to that, Dr. Ross?
11 DR. ROSS: Well, we've embarked on some discussions
12 with CCME, and as well as the B.C. Ministry of
13 Environment to discuss the notion of guidelines.
14 I should point out the guidelines are really
15 designed to either clean up a contaminated site or
16 to address a nearby contaminant source that might
17 be continuing to release contaminants into a
18 waterway. So they're really designed not
19 necessarily to protect the environment, but
20 they're designed to reduce the harm or stop
21 something from adding to what might be going on in
22 the environment. So it's after the release of a
23 chemical that guidelines come into play.

24 I'd like to build on what Mr. van Aggelen had
25 pointed out, and that is that CCME guidelines
26 often deal with single chemicals. They want
27 causal certainty. And that means that the kind of
28 evidence that they use to derive guidelines is
29 based on laboratory experiments with single
30 chemicals that have from my perspective, very
31 little to do with the real world, and that is they
32 will not look at complex mixtures. They want a
33 guideline for copper, a guideline for naphthalene,
34 a guideline for 2,3,7,8,-TCDD.

35 So I work as an ecotoxicologist. I know
36 full well the challenges of trying to sift through
37 the complex mixtures that we're faced in the real
38 world. But that is the reality, the real world.
39 We have to do a better job of looking at complex
40 mixtures and characterizing the risks posed by
41 complex mixtures, otherwise we're not dealing with
42 the real world.

43 The second major concern with CCME
44 requirements for guideline development relate to
45 the fact that they will only consider three main
46 end points in terms of toxicity. That's effects
47 on growth, reproduction and mortality. So with

1 the greatest of respect to Mr. van Aggelen's
2 program, toxicogenomics would not really be
3 considered a candidate field for incorporation
4 into CCME guideline development.

5 And we argue this point with CCME and some of
6 the people that use CCME guidelines, because we
7 feel that sublethal endpoints are important.
8 Because sometimes, you know, as we get away from
9 the era of big fish kills, we're getting into an
10 era where the expression of certain genes or the
11 subtle alteration of metabolism might have
12 profound consequences for a migrating salmon
13 that's got to head out thousands of kilometres,
14 come back, and as Dr. Ashley noted, they have to
15 smell their stream, that olfactory stream
16 bouquet. They have to find that stream through a
17 rather messy river.

18 So we do have some concerns about the strict,
19 stringent nature of the requirements for CCME
20 guideline development, and as a consequence it
21 means that a lot of chemicals do not have
22 guidelines. There are very few guidelines out
23 there in actual fact by which we could -- we
24 could, you know, measure sediment, for example, or
25 water and come up with a full understanding of the
26 risk posed by that matrix.

27 Q This Commission has heard from Dr. Johannessen in
28 earlier hearings that there's very limited data
29 available on water quality on the Lower Fraser.
30 And I think we've heard that from yourselves
31 today, as well. Do you have any recommendations
32 on how scientists can build data on water quality
33 specific to the Lower Fraser?

34 DR. ASHLEY: I'm not sure what you mean by "build"
35 water quality.

36 Q To build, sorry, to build the data. Is there a
37 program in place or is there a program being
38 contemplated, for example, the EEM program that I
39 understand is being contemplated for municipal
40 wastewater treatment plants, would something like
41 that assist in the collection of data on a regular
42 basis so that there is a better sense of water
43 quality on the Lower Fraser.

44 DR. ASHLEY: Yes. I mean, there was -- an organization
45 like Metro does have a variety of monitoring
46 programs that falls under the general category of
47 receiving environment monitoring, and an ambient

1 monitoring program on the Fraser. But those
2 programs tend to be for internal consumption and
3 presentation at the Environmental Management
4 Committee, and they don't -- they don't really get
5 much farther than that.

6 So what's really needed is cooperation
7 amongst any of the polluters on the Fraser, Lower
8 Fraser, such that there's some data sharing and it
9 becomes more of a collaborative effort rather than
10 just one agency meeting the regulatory requirement
11 and then -- and then putting the reports on the
12 shelf and not sharing them with the broader
13 community.

14 Q Dr. Ross, do you have anything to add?

15 DR. ROSS: Well, as I understand, I believe that the
16 water quality monitoring is carried out under the
17 auspices of the B.C.-Canada Water Quality
18 Agreement, and there are 35-odd stations. If one
19 looks at the list of parameters that are being
20 measured, they are cheap, easy, basic measures.
21 There's no measures for PCBs, there's no measures
22 for pharmaceuticals, you know, it's a very cursory
23 list. So that's a monitoring approach, I think it
24 is useful in many ways, but it could probably be
25 expanded a little bit, at least at a limited
26 number of locations, because it is expensive.

27 A couple of other points I would suggest, one
28 is -- a lot of these chemicals don't dissolve in
29 water, but they do dissolve in sediments, or they
30 do quickly bind to particles and get into the food
31 web. So one has to look at water, but also what
32 escapes from water. A lot of the persistent
33 compounds are afraid of water, hydrophobic,
34 they're lipophilic. So water isn't the only thing
35 I think we should be looking at.

36 And then I would also emphasize that there's
37 a distinction that one needs to make between
38 monitoring and research. Oftentimes monitoring
39 means that we either know what the problem is and
40 we want to see if we're doing a good job. Then
41 one can go down the regulatory side of things and
42 look at that.

43 Another example where monitoring comes in
44 fairly nicely is when one doesn't quite know what
45 one is looking for, but one wants to have a
46 general sense as to sea surface temperature, or
47 something else, and those records have been

1 instrumental in guiding scientists and managers
2 over a long time.

3 But there are a lot of -- a lot of examples
4 where monitoring will not capture everything. And
5 I think it gets back to the importance to having
6 scientists out there conducting research that is
7 hypothesis driven, whereby they use the
8 appropriate study design, the appropriate methods
9 to select species, or matrix, or season to get the
10 answer they're going after. So I would draw a
11 very clear distinction between monitoring and
12 research, because they really rarely meet up in
13 perfect synchrony.

14 Q Do you have anything to add to that, Mr. van
15 Aggelen?

16 MR. van AGGELEN: Yes. I would just follow what Peter
17 was saying, but I'd say like monitoring can loop
18 you into -- into a very expensive process with no
19 endgame in sight, as opposed to having a very
20 focused, you have to have targets or indicator
21 species that would determine that you're eliciting
22 some type of an effect, or not, or seen a
23 recovery. So there's, when we -- you have to be
24 careful when we say monitoring, because as I say,
25 with respect to new emergent chemicals of concern,
26 you can monitor them, you may not see them, but if
27 you spend huge amount of money and build detection
28 limits and buy expensive instrumentation, you may
29 see them, but all because you can measure them
30 analytically, are they necessary but --
31 necessarily eliciting some type of an effect.

32 So it's a fine balance, but I would caution
33 on the side of monitoring, but hypothesis driven
34 with something that, well, at the end of the day
35 you can have a marker or some type of a surrogate
36 that says that, yeah, things are getting better,
37 that either some benthic sediment critter that we
38 could use as an indicator, or a free-swimming
39 organism, or something that would be a yardstick
40 of measure. Not monitoring for the sake of just
41 taking water samples and getting reams and reams
42 of numbers that, you know, people can not really
43 make any judgment on, on an impact.

44 Q Now, we've heard about the end of pipe testing
45 that takes place with respect to water treatment
46 plants. And is there also testing that's possible
47 or that takes place perhaps the one or the two or

1 the three kilometres away from the end of that
2 pipe. And I'm not clear on whether that's being
3 done or whether it's even feasible at this point.

4 MR. van AGGELEN: It's feasible. It's not being done
5 by anyone I know of within Environment Canada with
6 respect to *in situ* toxicity testing.

7 Q And is that the type of testing that you were
8 speaking about earlier where if testing was done
9 of actual water samples, that you would need to
10 get into toxicogenomic analyses to determine
11 whether there was any cumulative effect of various
12 chemicals that are identified.

13 MR. van AGGELEN: Yeah, when I was speaking earlier, I
14 was mostly -- it was laboratory-based studies, but
15 that would be subject to modelled or predicted
16 concentrations in the receiving environment. But
17 as I say, the lab does not mimic the real world.
18 The lab gives you controlled testing conditions to
19 look at specific parameters within that. So it's
20 a good indicator. But as I say, I think Dr. Ross
21 could most likely expand upon that, that, you
22 know, until you're looking at the effects mediated
23 or demonstrated on critters in the receiving
24 environment, then it's, you know, that's the real
25 -- that's the real test. But as I say, yes,
26 there's ability to take tests in the lab to help
27 predict or determine if an effluent quality is
28 changing or not.

29 Q Dr. Ross, do you have anything to add?

30 DR. ROSS: It would largely, I think, just build on
31 what we've been discussing, and that is that if
32 one is to be precautionary, one would expand,
33 rather than constrain the list of research and/or
34 monitoring approaches to looking at the receiving
35 environment.

36 I would suggest there are a number of
37 creative designs and it would -- it would expand
38 far beyond my realm. But we are at present
39 working on modelling priority chemicals of concern
40 in the Strait of Georgia food web. We are
41 validating that empirically with certain
42 chemicals, PCBs, PBDEs.

43 There has been evidence in the past of
44 English sole in Vancouver Harbour having liver
45 tumours and skin diseases, as has been observed in
46 other urbanized areas, like Seattle.

47 There was a study in the late 1990s by Joanna

1 Wilson that showed downstream of Prince George
2 that one-and-a-half-year-old juvenile chinook
3 salmon out-migrating had increased what we call
4 biomarker responses. These would be enzymes that
5 are induced by exposure to effluents. The authors
6 were unclear as to whether that was related to
7 municipal wastewaters or pulp mill derived
8 compounds.

9 Surrogate species have been used, *in situ*
10 studies, caged studies.

11 There are lots of different models or
12 strategies that research scientists could employ
13 to complement the routines or monitoring and/or
14 toxicity testing that might be carried out under
15 the auspices of a localized discharge permit. And
16 I think a lot of our evidence comes from the past.
17 But if we were looking ahead, even the freshwater
18 reaches of the Fraser or down into the estuarine
19 or the marine environment, there's certainly more
20 that we could do to get a better handle on the
21 nature of contaminant risks in the Fraser River
22 system.

23 Q You just mentioned --

24 THE COMMISSIONER: Ms. Brown, how much longer are you
25 going to be?

26 MS. BROWN: I have about two questions left.

27 THE COMMISSIONER: Because I have a couple of questions
28 I'd like to ask. So if you could move it along,
29 I'd appreciate it.

30 MS. BROWN: I'll be very quick.

31 THE COMMISSIONER: Thank you.

32 MS. BROWN: I'll wrap it up. Thank you, Mr.
33 Commissioner.

34 Q Dr. Ross, you just mentioned a study that looks at
35 Dover sole, and I'm wondering why we often hear
36 about studies that are in relation to sole, rather
37 than salmon. Is it because sole is considered a
38 resident specie as opposed to migratory specie?

39 DR. ROSS: Yes, pretty much. And in harbour areas
40 they're exposed to hydrocarbons, metals, PCBs,
41 dioxins, furans. That's where we tend to find the
42 greatest evidence of adverse effects. When an
43 animal migrates, much more difficult to keep
44 control over the confounding factors in its life
45 history.

46 MS. BROWN: Thank you. Those are my questions.

47 THE COMMISSIONER: Thank you.

1 QUESTIONS BY THE COMMISSIONER:
2

3 Q I just had three quick questions for the panel.
4 The first is perhaps for Dr. Ross. I think you
5 mentioned in 2004, Mr. van Aggelen did in any
6 event, the removal of the funding for your Toxic
7 Research Program. That would be about on the eve
8 of the adoption of the Wild Salmon Policy. Can
9 you tell me what understanding you had at that
10 time and what understanding you have now with
11 respect to the intersection between the kind of
12 research you've been talking about here today, and
13 the Wild Salmon Policy.

14 DR. ROSS: I was not privy to any discussions related
15 to the Wild Salmon Policy.

16 Q And what is your understanding currently as to the
17 intersection between the Wild Salmon Policy and
18 the kind of research you're doing?

19 DR. ROSS: I have pretty much never embarked on any
20 discussions about the Wild Salmon Policy or its
21 intersection with contaminants. I think as we've
22 heard today, the contaminant file has been a
23 difficult one for us, and it has been the general
24 view that it has no real home within Fisheries and
25 Oceans.

26 Q And, Mr. van Aggelen, is there any crossover
27 discussions that you have had with respect to the
28 Wild Salmon Policy?

29 MR. van AGGELEN: No, Your Honour.

30 Q The second question I briefly had was, and I think
31 it came up just now. With respect to cross-border
32 issues and contaminants, is there any involvement
33 by DFO or Environment Canada with regard to the
34 Pacific Salmon Commission work or discussions with
35 the State of Washington or the State of Alaska
36 with regard to contaminants?

37 DR. ROSS: I've been collaborating with the State of
38 Washington since 1996, and we've been working on
39 the harbour seal, one of my favourite study
40 animals, because they don't migrate. They are
41 high on the food chain. They tend to amplify the
42 pollution signals associated with some of these
43 persistent contaminants of concern. And we have
44 been working quite closely with the Washington
45 Department of Fish and Wildlife to characterize
46 PCBs, PBDEs, dioxins, furans, organochlorine
47 pesticides, and a number of new generation flame

1 retardants at the top of the food chain. And the
2 State of Washington has a program to look at fish
3 health and fish contaminants right down into
4 sediments.

5 Certainly the State of Washington has had a
6 longstanding concern about the Puget Sound, which
7 is vulnerable receiving environment. It has a
8 long history of contamination, associated with
9 spills and industrial sites, and municipal,
10 military activities. And they've been actually
11 very interested and supportive of trans-boundary
12 work on some of these priority persistent
13 compounds of concern.

14 Q Mr. van Aggelen?

15 MR. van AGGELEN: Only, Your Honour, in the case if
16 there was a spill or an infraction on trans-
17 boundary waters where 36(3) provisions would come
18 into play. But other than that, nothing.

19 Q Thank you very much. And finally I just wanted to
20 raise, I think it was Dr. Ashley who mentioned
21 earlier today, at the end of the day it's the
22 taxpayer that has to be supportive of these
23 programs for research and pay for the cost of
24 installing facilities to address these concerns
25 that you've raised. Is there an education and
26 communication program within DFO or Environment
27 Canada, or that Dr. Ashley may be aware of. We've
28 seen, at least as citizens, a substantial program
29 for recycling for landfill concerns. Is there any
30 program which brings the taxpayer into the
31 equation in terms of their knowledge base, to
32 raise the -- or to raise the awareness around the
33 kinds of issues that you've been talking about.
34 Are there any kinds of programs that address
35 bringing the community into the programs so that
36 they will have an understanding of what you're
37 doing and be supportive? And perhaps programs
38 that, like the recycling programs we've seen
39 throughout the communities across Canada, take
40 some of these toxins out of the system, if
41 possible.

42 DR. ROSS: Perhaps I'll start on that one. I take very
43 seriously the idea that as a scientist I can't
44 operate in an ivory tower, and I do extensive
45 public speaking and interviews with the media.
46 There's always a very strong appetite here in
47 British Columbia and Washington state when it

1 comes to salmon, killer whales, contaminants. I
2 find there is a strong appetite for that kind of
3 information. And the feedback that I get is
4 steadfast. The taxpayers seem very, very happy to
5 be investing in protecting some of the creatures
6 that we're discussing today.

7 I can certainly point to programs that as a
8 scientist I've seen an interest and support for
9 outreach. **Species at Risk Act** is a multi-
10 stakeholder oriented and driven piece of
11 legislation whereby stakeholders do have input
12 into recovery strategies. The **Oceans Act** began
13 with a tremendous fanfare with a lot of outreach
14 for integrated management, multiple stakeholders.
15 Fisheries management necessarily works with
16 stakeholders.

17 I sense, though, that in a difficult
18 budgetary time, oftentimes the first things to go
19 are the things that, I guess, have some meaning to
20 some of the people on the street. I think
21 outreach is one of the things that remains
22 vulnerable, as is research or project-oriented
23 money. So sometimes these programs are the first
24 to suffer.

25 And I would also point to Indian and Northern
26 Affairs and Health Canada, both agencies that are
27 concerned about -- very concerned about
28 contaminants in traditional foods. Health Canada,
29 south of 60th parallel, INAC, north of the 60th
30 parallel, and we have projects under both
31 agencies. They have a very, very strong
32 requirement that we communicate to the public and
33 to the stakeholders, and work with the communities
34 that we're accountable to.

35 Q Thank you. Mr. van Aggelen.

36 MR. van AGGELEN: And certainly within Environment
37 Canada there's an outreach, Outreach Group that's,
38 you know, that promotes things, and but one of the
39 things I think through the province is that the
40 one aspect is the returning of unused
41 pharmaceuticals back to pharmacists and not to, I
42 think -- every now and then you see a campaign to
43 say not dumping your drugs down, your unused drugs
44 or spent drugs down --

45 Q Mm-hmm.

46 MR. van AGGELEN: -- down your toilet. But as I say, I
47 think that whatever level of government an

1 investiture in that type of advertising or
2 awareness campaign would go -- certainly pay off
3 dividends in making, you know, the average citizen
4 more aware of certain issues.

5 But you know, certainly at our -- at our
6 science centre we encourage, are always kind of a
7 bit of a showcase for visiting scientists and
8 other delegates to come by. But with respect to,
9 you know, the person on the street, it's not too
10 much I can say about that, that demonstrates what
11 we do.

12 Q Thank you. Dr. Ashley.

13 DR. ASHLEY: While I was at Metro there was quite an
14 effort on getting some messages out on source
15 control to prevent certain pollutants from getting
16 into the wastewater treatment stream.

17 I brought this scoop along. You may or may
18 not have seen these. If you lived on the North
19 Shore in 2006, Metro Vancouver delivered one to
20 every household on the North Shore and every
21 apartment and every condominium, encouraged people
22 to use one scoop of detergent, laundry detergent,
23 rather than two. Because the instructions on most
24 boxes of detergent, obviously it's the detergent
25 manufacturers would like you to use more, and a
26 lot of detergents are used for -- designed for use
27 in a hard water environment. So in a soft water
28 environment like we have, the type of water in the
29 Metro system, you only need less, less detergent.
30 And one of the compounds in the detergent, the
31 ethoxylates is what was identified as one of the
32 toxicants in the failed fish mortality test at the
33 Lions Gate sewage treatment plant.

34 And so Metro took it upon themselves to get
35 this message out to everybody in the North Shore
36 to use one scoop, rather than two. And so that
37 was -- it came with a flyer and was a very, very
38 good public outreach campaign. I think over time
39 it fades and people need to be reminded, because I
40 think there's probably these things kicking around
41 in people's houses, they don't know what they mean
42 any more. and so it was a great idea, but
43 requires continual reminder what it is.

44 THE COMMISSIONER: Thank you very much. Thanks to all
45 of you.

46 MR. MCGOWAN: Mr. Commissioner, that concludes the
47 questions --

1 THE COMMISSIONER: I think Mr. Prowse...

2 MR. MCGOWAN: Oh, Mr. Prowse.

3 THE COMMISSIONER: Yes.

4 MR. MCGOWAN: You've got one more...

5 MR. PROWSE: Sort of like a bad penny, keep turning up.

6

7 CROSS-EXAMINATION BY MR. PROWSE, continuing:

8

9 Q One question, Mr. Ashley. Last week we had some
10 evidence about the SLIPP Project, which you played
11 a very prominent role in. But are you aware of
12 the extent to which there was public outreach and
13 public participation in the SLIPP Project that
14 contributed to its success?

15 DR. ASHLEY: Yes, the SLIPP Project is the Shuswap Lake
16 Integrated Planning Process, it had a huge
17 frontend component of public consultation because
18 basically it was a public upwelling of being very
19 unhappy with the rate and pace of development in
20 Shuswap and Mara Lakes, both on the shoreline and
21 the upland region. And so that was a multiagency
22 effort between the Ministry of Forests, Lands and
23 Natural Resource Operations, what it's called now,
24 and DFO, and the Columbia Shuswap Regional
25 District. And they had a series of town hall
26 meetings in Salmon Arm and Chase, and various fire
27 halls around there, too, had the public come out
28 and express what their concerns were about what
29 was going on in Shuswap and Mara Lakes. So that
30 it was realized that because there was -- it was
31 to be a new approach, it was to be a multiagency
32 to sort of fill the gaps in how Shuswap Lake was
33 being managed, it had to have a huge amount of
34 public support in order to make it move forward.

35 MR. PROWSE: Thank you, Mr. Commissioner.

36 THE COMMISSIONER: Thank you, Mr. Prowse.

37 MR. MCGOWAN: Yes, Mr. Commissioner. I believe we
38 should adjourn till tomorrow morning, 10:00 a.m.,
39 for the next panel.

40 THE COMMISSIONER: Before we adjourn, I want to thank
41 all three of you for attending here today and for
42 providing us with the benefit of your knowledge,
43 for answering the questions of counsel, and for
44 answering my questions, as well. Thank you very
45 much.

46 MR. MCGOWAN: Thank you, Mr. Commissioner.

47 THE REGISTRAR: The hearing is now adjourned for the

1 day and will resume at ten o'clock tomorrow
2 morning.
3

4 (PROCEEDINGS ADJOURNED TO JUNE 15, 2011 AT
5 10:00 A.M.)
6
7

8 I HEREBY CERTIFY the foregoing to be a
9 true and accurate transcript of the
10 evidence recorded on a sound recording
11 apparatus, transcribed to the best of my
12 skill and ability, and in accordance
13 with applicable standards.
14

15
16
17

Karen Hefferland
18
19

20 I HEREBY CERTIFY the foregoing to be a
21 true and accurate transcript of the
22 evidence recorded on a sound recording
23 apparatus, transcribed to the best of my
24 skill and ability, and in accordance
25 with applicable standards.
26
27

28
29

Diane Rochfort
30
31

32 I HEREBY CERTIFY the foregoing to be a
33 true and accurate transcript of the
34 evidence recorded on a sound recording
35 apparatus, transcribed to the best of my
36 skill and ability, and in accordance
37 with applicable standards.
38
39

40
41

Pat Neumann
42
43
44
45
46
47