

Commission of Inquiry into the Decline of
Sockeye Salmon in the Fraser River



Commission d'enquête sur le déclin des
populations de saumon rouge du fleuve Fraser

Public Hearings

Audience publique

Commissioner

L'Honorable juge /
The Honourable Justice
Bruce Cohen

Commissaire

Held at:

Room 801
Federal Courthouse
701 West Georgia Street
Vancouver, B.C.

Tuesday, August 23, 2011

Tenue à :

Salle 801
Cour fédérale
701, rue West Georgia
Vancouver (C.-B.)

le mardi 23 août 2011



Errata for the Transcript of Hearings on August 23, 2011

Page	Line	Error	Correction
40	31	pretty well on my list	pretty low on my list

APPEARANCES / COMPARUTIONS

Brock Martland Jennifer Chan Kathy L. Grant	Associate Commission Counsel Junior Commission Counsel Junior Commission Counsel
Mitchell Taylor, Q.C. Jonah Spiegelman	Government of Canada ("CAN")
Clifton Prowse, Q.C. Tara Callan	Province of British Columbia ("BCPROV")
No appearance	Pacific Salmon Commission ("PSC")
No appearance	B.C. Public Service Alliance of Canada Union of Environment Workers B.C. ("BCPSAC")
Matt Keen	Rio Tinto Alcan Inc. ("RTAI")
Alan Blair Shane Hopkins-Utter	B.C. Salmon Farmers Association ("BCSFA")
No appearance	Seafood Producers Association of B.C. ("SPABC")
Gregory McDade, Q.C.	Aquaculture Coalition: Alexandra Morton; Raincoast Research Society; Pacific Coast Wild Salmon Society ("AQUA")
Tim Leadem, Q.C.	Conservation Coalition: Coastal Alliance for Aquaculture Reform Fraser Riverkeeper Society; Georgia Strait Alliance; Raincoast Conservation Foundation; Watershed Watch Salmon Society; Mr. Otto Langer; David Suzuki Foundation ("CONSERV")
Don Rosenbloom Katrina Pacey	Area D Salmon Gillnet Association; Area B Harvest Committee (Seine) ("GILLFSC")

APPEARANCES / COMPARUTIONS, cont'd.

No appearance	Southern Area E Gillnetters Assn. B.C. Fisheries Survival Coalition ("SGAHC")
No appearance	West Coast Trollers Area G Association; United Fishermen and Allied Workers' Union ("TWCTUFA")
No appearance	B.C. Wildlife Federation; B.C. Federation of Drift Fishers ("WFFDF")
No appearance	Maa-nulth Treaty Society; Tsawwassen First Nation; Musqueam First Nation ("MTM")
No appearance	Western Central Coast Salish First Nations: Cowichan Tribes and Chemainus First Nation Hwlitsum First Nation and Penelakut Tribe Te'mexw Treaty Association ("WCCSFN")
Brenda Gaertner Crystal Reeves	First Nations Coalition; First Nations Fisheries Council; Aboriginal Caucus of the Fraser River; Aboriginal Fisheries Secretariat; Fraser Valley Aboriginal Fisheries Society; Northern Shuswap Tribal Council; Chehalis Indian Band; Secwepemc Fisheries Commission of the Shuswap Nation Tribal Council; Upper Fraser Fisheries Conservation Alliance; Other Douglas Treaty First Nations who applied together (the Snuneymuxw, Tsartlip and Tsawout); Adams Lake Indian Band; Carrier Sekani Tribal Council; Council of Haida Nation ("FNC")
No appearance	Métis Nation British Columbia ("MNBC")

APPEARANCES / COMPARUTIONS, cont'd.

Tim Dickson	Sto:lo Tribal Council
Nicole Schabus	Cheam Indian Band ("STCCIB")
No appearance	Laich-kwil-tach Treaty Society Chief Harold Sewid, Aboriginal Aquaculture Association ("LJHAH")
No appearance	Musgamagw Tsawataineuk Tribal Council ("MTTC")
Lee Schmidt	Heiltsuk Tribal Council ("HTC")

TABLE OF CONTENTS / TABLE DES MATIÈRES

	PAGE
PANEL NO. 55 (cont'd):	
STEWART JOHNSON	
Cross-exam by Ms. Callan (cont'd)	5/7
Cross-exam by Mr. McDade	51/65
Cross-exam by Mr. Leadem	79/81
Cross-exam by Ms. Gaertner	84/88/89/90/93/95/98
Cross-exam by Ms. Schabus	102/104
Cross-exam by Mr. Taylor (cont'd)	108/109
Re-exam by Mr. Martland	111
MICHAEL KENT	
Cross-exam by Ms. Callan (cont'd)	1/5/6
Cross-exam by Mr. Blair	14
Cross-exam by Mr. McDade	24/31/44/48/51/62
Cross-exam by Mr. Leadem	66/70/72/74
Cross-exam by Ms. Gaertner	87/88/92
Cross-exam by Ms. Schabus	102/103
Re-exam by Mr. Martland	110
CHRISTINE MacWILLIAMS	
Cross-exam by Ms. Callan (cont'd)	5
Cross-exam by Mr. McDade	43/47
Cross-exam by Mr. Leadem	80/83
Cross-exam by Ms. Schabus	104
Cross-exam by Mr. Taylor (cont'd)	109
CRAIG STEPHEN	
Cross-exam by Ms. Callan (cont'd)	5
Cross-exam by Mr. McDade	43/59
Cross-exam by Mr. Leadem	68/71/73/77
Cross-exam by Ms. Gaertner	87/90/94/95/97/99
Cross-exam by Ms. Schabus	102/104
Cross-exam by Ms. Pacey	105

EXHIBITS / PIECES

<u>No.</u>	<u>Description</u>	<u>Page</u>
1478	Kent et al Survey of Salmonid Pathogens in Ocean-Caught Fishes in B.C.	2
1479	Letter from Tim Yesaki to Boris Tyzuk dated May 25, 2011	6
1480	Letter from Tara Callan to Gregory McDade dated May 27, 2011	6
1481	Document entitled "A Review of Diseases Identified in B.C. Aquaculture Company Databases"	13
1482	Rimstad, Examples of emerging virus diseases in salmonid aquaculture, Aquaculture Research, 2011	48
1483	Robertsen, Can we get the upper hand on viral diseases in aquaculture of Atlantic salmon? Aquaculture Research, 2011	49
1484	Mennerat et al, Intensive Farming: Evolutionary Implications for Parasites and Pathogens, Journal of Evolutionary Biology, July 29, 2010	51
1485	Reno, Factors Involved in the Dissemination of Disease in Fish Populations, Journal of Aquatic Animal Health, 1988	52
1486	Walker and Winton, Emerging viral diseases of fish and shrimp, INRA, EDP Sciences, 2010	53
1487	Ford and Myers, A Global Assessment of Salmon Aquaculture Impacts on Wild Salmonids, Department of Biology, Dalhousie University	54
1488	Kent and Dawe, Experimental Transmission of a Plasmacytoid Leukemia of Chinook Salmon, <i>Oncorhynchus tshawytscha</i> , Journal of Cancer Research, September 1, 1990	54
1489	Newbound and Kent, Experimental interspecies transmission of plasmacytoid leukemia in salmonid fishes, Diseases of Aquatic Organisms, May 9, 1991	56

EXHIBITS / PIECES

<u>No.</u>	<u>Description</u>	<u>Page</u>
1490	Eaton and Kent, A Retrovirus in Chinook Salmon (<i>Oncorhynchus tshawytscha</i>) with Plasmacytoid Leukemia and Evidence for the Etiology of the Disease, Journal of Cancer Research, December 1, 1992	59
1491	Descriptive epidemiology of marine anemia in seapen-reared salmon in southern British Columbia, by Craig Stephen, Carl Ribble and Michael Kent	59
1492	The effects of changing demographics on the distribution of marine anemia in farmed salmon in British Columbia, by Craig Stephen and Carl Ribble	59
1493	Diseases of Aquatic Organisms, Biochemical and histologic evidence of plasmacytoid leukemia and salmon leukemia virus (SLV) in wild-caught Chinook salmon <i>Oncorhynchus tshawytscha</i> from British Columbia expressing plasmacytoid leukemia, by W.D. Eaton, B. Folkins and M.L. Kent	61
1494	IN PRESS: Fisken og Havet 13: The Impact of Diseases of Pen-Reared Salmonids on Coastal Marine Environments, by Michael L. Kent	67
1495	Epidemiological investigation of infectious hematopoietic necrosis virus in salt water net-pen reared Atlantic salmon in British Columbia, by Craig Stephen, Michael Kent, et al	69
1496	Infectious haematopoietic necrosis epidemic (2001 to 2003) in farmed Atlantic salmon <i>Salmo salar</i> in British Columbia, by S.M. Saksida	70
1497	2010 BC Salmon Farming Database	76
1498	2008 BC Salmon Farming Database	76
1499	Program for Aquaculture Regulatory Research (PARR) Calls for Proposals (2010/11), PAAR Project Proposal 2010/11	79
1500	E-mail from Kristi Miller-Saunders to Christine MacWilliams, dated July 29, 2011, Subject: testing of Atlantic salmon	81

EXHIBITS / PIECES

<u>No.</u>	<u>Description</u>	<u>Page</u>
1501	E-mail from Kristi Miller-Saunders to Stewart Johnson, dated July 29, 2011, Subject: testing Atlantic salmon for Parvovirus	83
1502	ISA virus in Chile: evidence of vertical transmission, by Siri Vike, Stian Nylund, and Are Nylund	83
1503	2002 B.C. Salmon Farmer Database	96
1504	2003 B.C. Salmon Farmer Database	96
1505	2004 B.C. Salmon Farmer Database	96
1506	2005 B.C. Salmon Farmer Database	96
1507	2006 B.C. Salmon Farmer Database	96
1508	2007 B.C. Salmon Farmer Database	96
1509	2009 B.C. Salmon Farmer Database	97

EXHIBITS FOR IDENTIFICATION / PIÈCES POUR IDENTIFICATION

NN	Lawrie document entitled "Atlantic Salmon Importations into British Columbia 1985-2011	22
OO	Hammell document titled, " Qualitative assessment of risk, and mitigation, of importing exotic disease through eggs"	23
PP	List of Fish Health Databases produced to Cohen Commission by Aquaculture Coalition	32
QQ	Graphs of BCMAL Audit data (BCP002864) Region 3 only (excludes west coast Vancouver Island)	41
RR	Marty, Histopathology of Atlantic salmon sampled as part of the BC Auditing and Surveillance Program	41

1 Vancouver, B.C./Vancouver
2 (C.-B.)
3 August 23, 2011/le 23 août
4 2011
5

6 THE REGISTRAR: The hearing is now resumed.

7 MR. MARTLAND: Mr. Commissioner, I'll just indicate at
8 the outset two things: First, if I could just
9 remind all the witnesses to please speak directly
10 into the mike and position it towards them if they
11 can. I gather some people couldn't hear
12 everything yesterday.

13 Secondly, with respect to the times, we've
14 had some -- Ms. Callan was to have had 15 further
15 minutes. We've had some sharing and transfer of
16 time, so she'll have a further half hour this
17 morning. That keeps us on schedule.

18 MS. CALLAN: Mr. Commissioner, Callan, C-a-l-l-a-n,
19 initials T.E., appearing on behalf of Her Majesty
20 the Queen in Right of the Province of British
21 Columbia.
22

23 CROSS-EXAMINATION BY MS. CALLAN, continuing:
24

25 Q Dr. Kent, you've identified bacterial kidney
26 disease or *R. sal* as a high risk bacterium?

27 DR. KENT: That's correct.

28 Q It affects both sockeye and Atlantic salmon?

29 DR. KENT: Yes, and it affects sockeye salmon more
30 severely than -- given the same dose, it would be
31 a more acute severe disease in sockeye salmon than
32 Atlantic salmon.

33 Q Okay. And it's quite common in the wild?

34 DR. KENT: Quite common in the wild, particularly in
35 chinooks. In wild caught chinook salmon, it's
36 quite common. For the work that we did, this was
37 a number of years ago, if I recall, about ten
38 percent of the sockeye salmon that we collected in
39 ocean survey were infected. So, in general, it's
40 more common in chinook salmon than sockeye salmon,
41 but it would occur in both species.

42 Q Is the paper you're referring to at the Province's
43 Tab 10?

44 DR. KENT: Which? Is that the Kent et al Journal of
45 Aquatic Animal Health?

46 Q It is. It's called "Survey of Salmonid" --

47 DR. KENT: Yes, that's correct.

2

PANEL NO. 55

Cross-exam by Ms. Callan (cont'd) (BCPROV)

1 MS. CALLAN: If we can mark this as the next exhibit?

2 THE REGISTRAR: Exhibit 1478.

3

4 EXHIBIT 1478: Kent et al Survey of Salmonid
5 Pathogens in Ocean-Caught Fishes in B.C.

6

7 MS. CALLAN:

8 Q Now, the incidence level in Atlantic salmon is
9 somewhat low.

10 DR. KENT: From this survey? I'd have to go back and
11 look at it. Yeah, it looks like right here that
12 we -- where are we here? Yeah, it's pretty low
13 and that's what I would expect. My experience
14 back from the 11 years I worked with DFO and doing
15 a lot of work on Atlantic salmon fish farms, it
16 was really a very low level disease problem. Much
17 more common in Pacific salmon than Atlantic
18 salmon.

19 Q And would you agree that the prevalence level of
20 the BKD in farmed fish has been declining in the
21 last nine to ten years?

22 DR. KENT: I have not been examining fish in the last
23 nine to ten years. Maybe one of my colleagues
24 might want to expand on BKD levels in the farms in
25 the last ten years. I left British Columbia in
26 1999, so I have less direct contact with the fish
27 farms after -- in the last ten years.

28 Q Do any of the other panel members want to address
29 this point?

30 If you could turn to Dr. Korman's report at
31 5A which is provincial Tab 19, and it's page 19.
32 Would you agree that this indicates that the
33 incident level of BKD appears to be declining
34 since 2002?

35 DR. KENT: It appears that of a trend. One would have
36 to run statistical analyses to see if there's a
37 statistically significant difference in that, but
38 just subjectively, I would say there appears to be
39 a reduction in BKD.

40 Q And I take it you wouldn't be in a position to
41 know how many Atlantic salmon are along the
42 sockeye migration route in 2007?

43 DR. KENT: No. No, I wouldn't be the one to answer
44 that.

45 Q Would you agree, based on Dr. Korman's report,
46 that BKD is unlikely to explain the difference
47 between poor 2009 run and the extremely large 2010

August 23, 2011

1 run?

2 DR. KENT: Yes, based on the data that we have right
3 now, as far as -- this is work looking at BKD on
4 fish farms, I assume, this, what I'm looking at
5 right here?

6 Q That's right.

7 DR. KENT: Yes, that's right, yeah. So as far as
8 relating to bacterial kidney disease and
9 *Renibacterium* on fish farms, I would objectively
10 put that at a pretty low priority. One is it's
11 not that easily transmitted; and secondly, the
12 fish farms are mainly Atlantic salmon; and third,
13 as we see, even if there's not a statistically
14 significant reduction in BKD, it's really an
15 incidental disease in the Atlantic salmon.

16 Q Now, you rated furunculosis as a high-risk
17 bacterium noting the bacterium has potential to be
18 lethal to juvenile and adult sockeye salmon in
19 both fresh water and sea water.

20 DR. KENT: That's correct.

21 Q And you would agree that the bacterium has never
22 been diagnosed in B.C. wild sockeye salmon?

23 DR. KENT: That's my understanding.

24 Q As well, most occurrences of furunculosis at fish
25 farms since 2002 have been on the west coast of
26 British Columbia (sic)?

27 DR. KENT: I can't answer that question. I don't know
28 about the distribution of furunculosis in fish
29 farms.

30 Q Okay. If you could turn to Tab 21 of the
31 Province's book of documents. It's page 28 that
32 I'm looking, and this is Dr. Noakes' report. This
33 will be a technical report that the Commission
34 will be putting in, in the next few days, as well.
35 Specifically I'm looking at the first paragraph
36 starting midway through. It says [as read]:
37

38 A few more cases of furunculosis have been
39 reported on farms since 2003. Most of the
40 furunculosis cases have been from farms
41 located on the west coast of Vancouver
42 Island.
43

44 Then it sets out the numbers, 9 out of 10 in 2010,
45 so that means that one was not on the west coast.
46 One in 2008, 'cause they have 4 out of 5 are on
47 the west coast, and then 1 in 2007 and 2 in 2004.

1 Then there's a higher number in 2003.

2 Do you have any reason to disagree with Dr.
3 Noakes?

4 DR. KENT: No. I don't know where the source of his
5 data are, but I have no reason to disagree with
6 that. There is a vaccine for furunculosis. It's
7 used with Atlantic salmon, and therefore -- in
8 general, with that efficacious vaccine being
9 available, we would expect to see less
10 furunculosis on the farms.

11 I put this furunculosis as a high pathogen --
12 or *aeromonas salmonicida* as a pathogen of concern
13 that would be one that you would be looking for in
14 the fish. I'm not saying that we -- I didn't
15 allude to any relationship with farms being the
16 source of this. I'm just putting that as a
17 general risk. We know furunculosis occurs in
18 hatcheries and occasionally in wild fish, and when
19 it does occur, it can be very lethal to fish,
20 including sockeye. So therefore that's why I
21 included it in my high risk.

22 Q Now, I'm turning to the issue of salmon leukemia
23 virus or otherwise known as plasmacytoid leukemia.

24 DR. KENT: Yes.

25 Q When was the last time you saw evidence of salmon
26 leukemia virus or plasmacytoid leukemia?

27 DR. KENT: Okay, so as I discussed yesterday -- and I
28 probably need to reiterate this a bit again today,
29 because it's a complicated story. We were looking
30 at fish, let's say, starting in the late 1980s,
31 early 1990s, that had histological presentation
32 which we described as plasmacytoid leukemia, an
33 excessive proliferation of immature plasma cells -
34 it's a white blood cell type - in chinook salmon
35 from certain - and farms - and that was the fish
36 that we did our work on, on isolating viruses,
37 cell-free transmission, basically collecting the
38 evidence that was most suggestive of a viral
39 ideology.

40 That work was done in the early 1990s. After
41 that, we continued to see fish that presented with
42 that histological change, basically lesions, the
43 proliferation of white blood cells that fit that
44 diagnosis. In further cases, almost all those
45 were infected with a parasite called *Nucleospora*
46 *salmonis*. We didn't continue to look for viruses
47 after the early 1990s. The virologist I was

1 working with, Dr. Bill Eaton, who was at Malaspina
2 College at the time, he left Malaspina around that
3 time and basically the work actually specifically
4 looking at the virus was gone.

5 However, we continued to see, through the
6 '90s, fish with lesions that -- from chinook farms
7 and occasionally in wild fish that had changes
8 consistent with that. Dr. Stephen might be able
9 to address when the last -- a little bit more. He
10 did a lot of survey work on the condition of
11 farms, so maybe he might be able to add a little
12 bit to that.

13 DR. STEPHEN: Well, as science goes, my Ph.D. ended, my
14 funding ended and I didn't look at the disease
15 after that. So I have no real data on trends
16 after my doctoral work.

17 Q Now, my understanding of plasmacytoid leukemia or
18 salmon leukemia virus is that this is a disorder
19 that primarily affects chinook and coho salmon?

20 DR. KENT: Primarily chinook. We were able to
21 experimentally infect sockeye salmon, but in the
22 field, chinook salmon.

23 Q Have you ever known Atlantic salmon to display
24 pathology consistent with plasmacytoid leukemia or
25 salmon leukemia virus?

26 DR. KENT: No.

27 Q And it has not been identified in sockeye in the
28 wild?

29 DR. KENT: That's correct, to my knowledge.

30 Q Now, IHN, sea lice and specifically *Caligus*
31 *clemensi* and *L. salmonis*, BKD, *Ich*, furunculosis
32 are endemic pathogens and have probably been
33 present on B.C. marine ecosystems for centuries?

34 DR. KENT: Yes, that's correct.

35 Q Are you aware of any pathogens that would increase
36 pink salmon survival and, at the same time,
37 decrease sockeye salmon survival?

38 DR. KENT: No.

39 Q Are any of the other panellists aware of such a
40 disorder?

41 DR. JOHNSON: No, I'm not.

42 DR. STEPHEN: No.

43 DR. MacWILLIAMS: No.

44 Q Okay. Dr. Kent, I understand -- and I'm going to
45 be switching subjects to Dr. Miller's work. I
46 understand that marine anemia or plasmacytoid
47 leukemia is sometimes associated with an

1 accumulation of abnormal cells behind the eye.

2 DR. KENT: That's correct.

3 Q Dr. Miller, I understand, provided you with
4 histological samples from sockeye salmon brains to
5 examine?

6 DR. KENT: That's correct.

7 Q Were you aware of whether or not these samples
8 were positive for the genomic signature?

9 DR. KENT: No. I knew that they evolved from that
10 study. I can't recall specifically. We just ran
11 the tissues for histological examination and just
12 evaluated them independently. I can't recall
13 which numbers of them were positive or negative.
14 I assume some of it came from that group that was
15 positive.

16 Q I understand in your review from the fish, you
17 found no significant pathological changes in any
18 of the samples?

19 DR. KENT: That's correct.

20 Q And now onto my one question about salmon alpha
21 viruses. Would you agree that none of the three
22 salmon alpha viruses in other parts of the world
23 have been diagnosed in British Columbia?

24 DR. KENT: Can you clarify what you mean by alpha
25 viruses? What types of viruses?

26 Q If you could turn to the Conservation Coalition's
27 list, I'll just get the document reference.
28 Actually, if we could just move on past the
29 question.

30 DR. KENT: Okay, that's fine.

31 MS. CALLAN: Mr. Lunn, could you turn to the letter to
32 Mr. Tyzuk from Tim Yesaki? I'd ask that this be
33 marked as the next exhibit.

34 THE REGISTRAR: Exhibit 1479.

35
36 EXHIBIT 1479: Letter from Tim Yesaki to
37 Boris Tyzuk dated May 25, 2011

38
39 MS. CALLAN: If Mr. Lunn could also open the letter
40 from myself to Mr. McDade? If this could be
41 marked as the next exhibit?

42 THE REGISTRAR: Exhibit 1480.

43
44 EXHIBIT 1480: Letter from Tara Callan to
45 Gregory McDade dated May 27, 2011

46
47

1 MS. CALLAN:

2 Q My next and my last group of questions will be
3 directed towards Dr. Johnson. Oh, actually, I've
4 been handed a note with respect to the salmon
5 alpha virus. He's talking about pancreas disease.

6 DR. KENT: Yeah, pancreas disease. Before I came to
7 DFO in 1988, I worked in Washington for Patel
8 Laboratories and there we did a lot of work with
9 net-pen farms down in Washington State, and we did
10 write a report on histological changes in Atlantic
11 salmon smolts in Washington State that were
12 consistent with pancreas disease. We never
13 isolated the virus, just showing histological
14 changes that were consistent with pancreas
15 disease.

16 Q So then the disease has never been actually
17 confirmed?

18 DR. KENT: That's correct.

19 Q So over to Dr. Johnson now. Yesterday when I
20 asked about Price's 2011 paper, that's Exhibit
21 1476, I noticed that you mentioned his 2010 paper
22 which is at Tab 21 of the Salmon Farmers' binder.
23 This document is entitled, "Evidence of farm-
24 induced parasite infestations on wild juvenile
25 salmon in multiple regions of coastal B.C."

26 I understand you have some criticisms of the
27 2010 paper. Could you outline them for me?

28 DR. JOHNSON: Well, my criticisms are tied together --
29 from yesterday, tied together both of these
30 papers. I pointed out that if you compare the
31 sample sites and you compare from the information
32 that's given when they supposedly obtained these
33 samples, that in the case of one study, there are
34 sites that are classified differently than they
35 are in the other study.

36 I then went on to question whether - because
37 we're talking about an animal that produces a
38 planktonic lifestyle, a life stage, the infectious
39 stage - whether you could actually say that sites
40 which were north of salmon farms were downstream
41 and sites which were south were really upstream
42 because of the tidal mixing in that area, which I
43 believe encompasses at least that whole area,
44 although I'm not a physical oceanographer.

45 Q So I'll try to break it down now to specific
46 points.

47 DR. JOHNSON: I paid more attention to the sockeye

1 paper to be honest with you. I think what we see
2 is fish, when they enter the marine environment,
3 become infected with sea lice. So if we're
4 talking about fish of Fraser River origin, at
5 least based on our work in 2010, we see that there
6 is a gradual accumulation of sea lice on these
7 fish as they migrate northwards.

8 There also was a fair number of sea lice
9 found on fish that were residing within the Gulf
10 Islands.

11 The other thing that I had some concerns
12 about these two papers is that they talk a lot
13 about *Caligus clemensi* and there are a lot of
14 different wild hosts for that parasite in our
15 marine environment which do not necessarily
16 associate themselves with salmon farms. The
17 authors, I feel, didn't really take into
18 consideration the amount of information,
19 especially for related caligen (phonetic) species
20 which are known to occur on these wild coasts. So
21 there's no reference really to wild coasts as
22 being a source of these.

23 I understand that we do have limited data and
24 what data we have is somewhat simply
25 observational, that when you catch herring, they
26 tend to have lots of *Caligus* on them, and
27 observations by salmon farmers that when the
28 herring come by, often *Caligus* levels increase on
29 fish.

30 So those were sort of my major areas that I
31 remember when I read these papers, that sort of
32 came to mind.

33 Q Now, I understand that this paper suggests that
34 sea lice levels on salmon were greatest closest to
35 the salmon farms.

36 DR. JOHNSON: Yes.

37 Q However, the site choices for the reference sites
38 were quite unusual?

39 DR. JOHNSON: I can't remember where the reference
40 sites were.

41 Q I understand that the authors used Bella Bella as
42 a reference site.

43 DR. JOHNSON: Yeah, again, as I say, if it's related to
44 how long the fish were in the sea water, it
45 depends what the source of the fish would be, both
46 in Bella Bella and in the Skeena area. If these
47 fish recently entered the marine environment, then

1 they would have only been acquiring marine life
2 for a shorter period of time. I'm not an expert
3 on residence time of fish in these two areas.

4 Q And salinity was an issue as well?

5 DR. JOHNSON: I don't remember offhand what the
6 salinity of these various areas -- there is some
7 -- we do know that sea lice under low saline
8 conditions are not as effective at infecting their
9 host. They do not survive as well.

10 Q If you could turn -- oh, we are at the right
11 document. If you could turn to Table 1 of this
12 document, you would agree that based on this, the
13 sea lice level -- or, sorry, the salinity levels
14 are 27.6 for the low exposure and 21.5 for the
15 high exposure site in the Broughten and, as well,
16 the salinity level is 24.9 and 27.6 in the Georgia
17 Strait and the Finlayson is 25.2 and 26.3.

18 DR. JOHNSON: Yes. But we also don't know whether this
19 was a single salinity measurement or there was an
20 average of many measurements. Salinity and things
21 such as temperature are going to depend a lot on
22 how the water is mixing at the time that you're
23 actually collecting these samples and whether
24 there's strong tidal flows and things like that,
25 so if this is the salinity -- surface salinity at
26 the time of collection.

27 We also don't have any information on how
28 deep these salinity layers go. I don't remember
29 at what depth they were collected from this paper.

30 Q All right. You would agree, though, that the
31 surface -- the salinity measured, even though you
32 do have concerns about how it was measured, was
33 only 20.1.

34 DR. JOHNSON: I would think that 20.1 is getting to be
35 fairly low salinity for sea lice. Now, that's for
36 *Leps. salmonis* which is the only one that we've
37 really done these experiments on. How *Caligus*
38 *clemensi* functions in these lower salinity waters,
39 we really don't know.

40 Q Okay. And why is the salinity level significant?

41 DR. JOHNSON: Well, sea lice basically have no
42 mechanism to osmo-regulate. Or they have poorer
43 mechanisms to osmo-regulate, so basically they
44 become the salinity of the water that they're in,
45 and in certain salinities, the water basically
46 just becomes not salty enough to maintain them.

47 The difference would be for animals which are

1 attached to their hosts, because there's some
2 evidence that sea lice, once they're on the host,
3 can obtain some buffering from these low
4 salinities simply by being on the host. So, for
5 example, you can find sea lice alive on salmon in
6 freshwater rivers, provided the fish recently
7 entered the river.

8 But for the larval stages, which they're
9 simply drifting around, the lower salinity does
10 have a significant impact on their physiology and
11 ultimately their survival, and probably on their
12 ability to infect host.

13 Q And my next set of questions are going to compare
14 the 2011 paper at Exhibit 1476 with the 2010
15 paper. I understand that some of the high
16 exposure sites were changed to low exposure sites
17 for the 2011 paper?

18 DR. JOHNSON: I just remember that there were
19 differences between the two papers. I don't know
20 if it's going to be very easy -- there was one
21 site that was marked as being a farm, I remember,
22 on one of the papers, which is not marked on the
23 other papers being a farm site. There were some
24 sites, especially along the northern sort of
25 border in one of the papers which -- so I don't
26 know how we can do this comparison because I don't
27 remember what sites they were offhand.

28 Q Well, perhaps it would be easy if we could have a
29 split screen with Figure 1 of both papers side by
30 side.

31 DR. JOHNSON: If that would work.

32 MR. LUNN: Did you say Figure 1 or Table 1?

33 MS. CALLAN: Figure 1. That's -- it's the two maps.

34 MR. LUNN: Thank you.

35 DR. JOHNSON: And we only need really Section B of the
36 maps, Section B and Section C of the maps, that
37 map.

38 MS. CALLAN:

39 Q Now, my understanding is that one of the fish farm
40 sites in the 2011 paper was removed, and I think
41 becomes obvious if you look towards the bottom of
42 the Table B, and look to the second "X" from the
43 bottom which is somewhat in the middle.

44 DR. JOHNSON: Can we go to image C on the one you're
45 adjusting now, please?

46 Q Is my understanding correct that --

47 DR. JOHNSON: Yes, B.

1 Q -- in the 2010 paper, the second "X" from the
2 bottom has been removed for the purposes of the
3 2011 paper which is marked as B.

4 DR. JOHNSON: There is an extra "X" on the chart which
5 is marked C, which I believe is the -- that is in
6 the lower right-hand corner with the mouse
7 essentially on it now. That's -- it appears to me
8 not to be in the chart given in Figure B.

9 Q Are you aware of which of the sites were changed
10 from high exposure to low exposure?

11 DR. JOHNSON: I would have to look, and we'd have to
12 scroll up a bit so I could see the legend. So low
13 and high, okay, active salmon farming. Okay, so
14 we can go -- if you blow C up again, please? And
15 can I see the legend for B, please? I'm sorry
16 this is taking so long (indiscernible).

17 There is -- okay, I don't know how to point
18 out differences.

19
20 (BRIEF OFF-THE-RECORD DISCUSSION)

21
22 I'm sorry this is taking so long.

23
24 MR. MARTLAND: Mr. Commissioner, I'm just going to
25 alert, mainly for counsel, that Mr. Blair is now
26 complicit -- Mr. Blair is now willingly sharing
27 his time with Ms. Callan. This is by consent, for
28 the record, so that as she goes on, his time is
29 adjusting accordingly. Thank you.

30 DR. JOHNSON: Yeah, that's a missing salmon farm.
31 We've discussed that. So this -- indeed, if I
32 remember properly, the salmon farms which are
33 circled in the circle are ones which are
34 considered to be downstream sites, and if you go
35 to section C, or Figure C, some of the -- there
36 are a variety of sites that are considered to be
37 downstream in this other paper that are marked as
38 basically low impact sites for that analysis, and
39 those low impact analysis sites on C also include
40 sites that are further upstream from the salmon
41 farms.

42 So I'm assuming that their classification of
43 circles in the bottom left, the bottom right, as
44 well as those ones that are sort of on the upper
45 right along the margin with the mainland are all
46 given, in that paper, as being low impacted sites.
47 But in the other paper, they're basically listed

1 as being sites which are included in their
2 analysis because they're downstream sites. So I
3 think that that's probably the best way to explain
4 it.

5 MS. CALLAN:

6 Q Thank you. What is the significance of the change
7 from high exposure to low exposure?

8 DR. JOHNSON: It's extremely difficult for me to tell
9 because it would depend upon -- I think probably
10 will have an impact on the way they do the
11 analysis. So if you've classified them -- and it
12 wasn't really clear to me - and again I'm going on
13 memory - exactly how these two analyses were done.
14 So how were these sites selected? Were they
15 selected prior to the analysis or were they
16 selected during the process of the analysis?

17 Q And what is the significance of removing the
18 salmon farm site?

19 DR. JOHNSON: I don't know. Perhaps it's just an
20 oversight by the authors.

21 Q Now, I understand that the weight of the fish at
22 the downstream sites in the 2011 paper were also
23 larger than the upstream sites in Exhibit 1476.

24 DR. JOHNSON: I'll have to take your word on that. I
25 can't remember from the paper. But it would make
26 sense because these animals are migrating
27 northwards, that they would be growing. But I
28 don't think the residence time is -- the time it
29 would take them to pass through that area is that
30 long, at least the Fraser sockeye.

31 Q If we could turn to Table 2 of Exhibit 1476. Does
32 that confirm that they are larger at the
33 downstream sites than they are at the upstream
34 sites?

35 DR. JOHNSON: Again, there's no standard errors on
36 these numbers, so they're close in size, but
37 without some indication of the amount of
38 variability, I wouldn't want to guess, because it
39 could be pure chance that you obtained a smaller
40 fish at one site.

41 These fish were also, if I'm not mistaken,
42 collected over a period of time, so I'm not
43 exactly sure what proportion of fish, say, from
44 the earlier samples contributed to these different
45 sizes. So, of course, if the fish had only been
46 in seawater a short amount of time, they might be
47 actually smaller, regardless of where they were.

1 So I don't think there's enough evidence here
2 to sort of look at whether there were significant
3 differences in length upstream or downstream of
4 salmon farms.

5 Q And my last question is are you aware of any
6 controlled laboratory studies with sea lice and
7 coho salmon?

8 DR. JOHNSON: As part of my Ph.D. thesis, I did conduct
9 some studies with sea lice and coho salmon,
10 looking at susceptibility of coho salmon to
11 infection in comparison to Atlantic and chinook
12 salmon as well as looking at the role of processes
13 such as inflammation and the ability of coho
14 salmon to remove sea lice.

15 Q And what were your findings?

16 DR. JOHNSON: It was found that coho salmon, of all the
17 salmon species that we've examined, are very
18 resistant to infection, and this is a single pulse
19 infection within the laboratory when compared to
20 Atlantic or chinook salmon.

21 MS. CALLAN: Thank you. Those are my questions.
22 Sorry, I'd also like to mark BCSFA Tab 21 as an
23 exhibit.

24 THE REGISTRAR: Will be marked as Exhibit 1481.

25

26 EXHIBIT 1481: Document entitled "A Review of
27 Diseases Identified in B.C. Aquaculture
28 Company Databases"

29

30 MR. MARTLAND: Mr. Commissioner, next on the list I
31 have counsel for the B.C. Salmon Farmers
32 Association until ten minutes past 11:00.

33 MR. BLAIR: Good morning, Mr. Commissioner, members of
34 the panel. I was pleased to have Mr. Martland
35 clarify what was going on when the Province was
36 using more time. I wasn't so pleased to hear him
37 use the word "complicit". I would have thought he
38 might have gone to "generous" but I guess either
39 way, the Province has used some time.

40 I do just want to take a moment, Mr.
41 Commissioner to speak about the sharing of time.
42 I know that practice has been developed over the
43 last several months and it has worked efficiently.
44 I do want to say that I was allocated 50 minutes
45 for this particular panel. The coverage of the
46 key issues, key to my client's perspective, have
47 been well covered by Mr. Martland, Mr. Taylor and

1 Ms. Callan. So I will take much less time as a
2 result of that which is why I was in a position to
3 be able to share so generously, or complicitly
4 with the Province.

5 I do want to point out, however, that I think
6 the way the process has developed is to the extent
7 that I don't use the 30 minutes I've been
8 allotted, I made it clear to Mr. Martland that I
9 think it's an efficient use of the remainder time,
10 if there is remainder, that I continue to be
11 permitted to share it, and I would, in the course
12 of events if there is time, with the federal
13 government for reply. I think if there's a need,
14 if there is time for the federal government to be
15 able to reply -- many of these are their
16 witnesses, and so that is my preference, if there
17 is extra time left, that it go to the federal
18 government for reply and not be otherwise
19 allocated.

20 We've been told how we could share time, and
21 I keep waiting for time to come my way. Hasn't
22 happened yet; I'm okay with that. Mr. Martland,
23 that's fine with you?

24 MR. MARTLAND: It's a hypothetical issue. Let's wait
25 till we get there.

26 MR. BLAIR: Thank you.

27
28 CROSS-EXAMINATION BY MR. BLAIR:

29
30 Q Dr. Kent, my questions are for you.

31 MR. BLAIR: Mr. Lunn, I wonder if you'd be kind enough
32 to pull up his report, Exhibit 1449.

33 Q Dr. Kent, in a very general way, I'd like to ask
34 you if you're familiar with the egg importation
35 for salmon aquaculture?

36 DR. KENT: As it stood when I left B.C. about ten years
37 ago. I'm not aware of any significant changes
38 since then.

39 Q Can you describe generally the history of egg
40 importation in British Columbia in a large
41 overview, please?

42 DR. KENT: Basically there's been an eggs-only policy
43 for bringing in salmonid eggs from outside of the
44 province. When the salmon-farming industry was
45 developing, that's when I came in 1988, there were
46 a few net-pen farms, but that's when the industry
47 really took off, in the early 1990s. Dorothy

1 Kieser, Gary Hoskins and others at the Pacific
2 Biological Station were involved in developing a
3 policy for quarantine, avoiding introduction of
4 exotic pathogens with the importation of salmonid
5 eggs. They had a pretty rigorous program in that.

6 I can give you a broad brush overview of it
7 and some others may be able to expand on some of
8 the details of that. Maybe Dr. MacWilliams might
9 know a little bit more.

10 Correct me if I'm wrong on this, but
11 basically it's a very rigorous program. It
12 actually has served as a model for other agencies
13 for introduction of fishes into a given geographic
14 area. The beauty of salmonids is that their eggs
15 take a long time to hatch and so one can screen
16 the eggs, the ovarian fluid, the brood stock where
17 they originated from, for pathogens before they're
18 imported or hold them in quarantine once they
19 become imported. So that's basically what the
20 policy was.

21 Then once the eggs were hatched, they were
22 held in quarantine and examined periodically for
23 specific pathogens. To my knowledge, it's a
24 negative result so you can't say the eggs-only
25 policy prevented introduction of any exotic
26 pathogens that we're aware of, but along with this
27 rigid eggs-only policy, we have not seen any
28 introduction of any exotic pathogens. There would
29 be a big concern with this, because they were
30 bringing in eggs from eastern Canada, basically
31 with the potential for bringing in pathogens such
32 as ISA and other pathogens that do not occur in
33 the province.

34 Q In the introduction of your paper --

35 MR. BLAIR: Pdf page 8, Mr. Lunn.

36 Q Just in the second paragraph starting with
37 Sindermann's name, you make reference to the
38 strict import and quarantine programs. It's just
39 above the paragraph starting, "The following is a
40 review of pathogens," near the bottom of the page.

41 DR. KENT: Okay. Right to it there, okay. Yes, that's
42 right. There was a paper there we wrote in 2003.
43 So that's what I'm saying. I'm referring to --
44 Dorothy Kieser and I wrote this review paper which
45 I just summarized there. That was based on my
46 knowledge of the policies up to that -- that was
47 about eight years ago when we wrote that paper.

1 Q And so the point that I'm just highlighting for
2 your recollection is that you state here:

3
4 ... it should be noted that to date --

5
6 As of that date.

7
8 -- no exotic salmon pathogen of significance
9 has been documented to have been introduced
10 into British Columbia.

11
12 DR. KENT: Right. And I would say it would be hard for
13 me to even think of an exotic pathogen that's of
14 less concern that's been introduced. I can't
15 really recall any.

16 Q Dr. Kent, you may know that in the production of
17 documents, my client produced a couple of reports
18 that you probably had an opportunity to review.
19 One is a report prepared specifically at the
20 request of our client for these hearings, prepared
21 by Dr. John Lawrie who's, I'm told, is an
22 independent aquaculture consultant.

23 MR. BLAIR: It's at our Tab 5, Mr. Lunn, if you could
24 put that up on the screen, please.

25 Q Again, Dr. Kent, looking at the cover sheet, maybe
26 you had an opportunity to review the documents
27 which were produced by various participants?

28 DR. KENT: I don't recall seeing this particular
29 document. What happened was I received some
30 documents early on, and then a barrage of
31 documents about a week ago, and then even
32 following up a few days ago. As I said, I was
33 teaching back in Maine all last week, and it was
34 difficult for me to access a number of these
35 documents. So this particular document I don't
36 recall. I reviewed as many documents as I can. I
37 don't recall reviewing this particular document,
38 but I'd be happy to try to answer some questions
39 as it pertains to the exhibit.

40 Q To the exhibit. Thanks for that clarification.
41 I'll just take you through it briefly. You'll see
42 from the title that it was prepared in this year,
43 and Mr. Lawrie has presented Atlantic salmon
44 importation into British Columbia, 1985 to 2011,
45 as a history, and we'll just go over to page 4 in
46 the document. That will be pdf 3.

47 MR. BLAIR: Section 2.0, Mr. Lunn, you can highlight

1 that bottom two paragraphs? Thank you.
2 Q If you could just take a moment, Dr. Kent, to
3 review these two paragraphs that have been
4 highlighted.
5 DR. KENT: Yes.
6 Q Does that accord with your recollection --
7 DR. KENT: Yes. Yes.
8 Q -- when you were directly involved, and in fact up
9 to the present status to the extent you're able to
10 comment on that?
11 DR. KENT: Yes.
12 MR. BLAIR: And if you, Mr. Lunn could go to page 9. I
13 believe that'll be pdf 10. It's 6.0. It'll say
14 page 9. There we are. Scroll to the top, thank
15 you.
16 Q Now, Dr. Kent, Section 6.0, there's a list of
17 Atlantic salmon importations for the entire period
18 from 1985 through to 2009. After you have a
19 moment to just get familiar with the table, I'll
20 ask Mr. Lunn to scroll to the bottom. It's two-
21 and-a-half pages.
22 MR. BLAIR: So when you're ready, you can just scroll
23 along, Mr. Lunn.
24 DR. KENT: That's fine, you can scroll along now.
25 MR. BLAIR:
26 Q So you'll see it's set out by year and refers to
27 where the fish came from and the number of eggs
28 and which company was importing them.
29 DR. KENT: Right.
30 MR. BLAIR: And, Mr. Lunn, if you just -- after you get
31 to the end of the scrolling, you get to Section
32 7.0 which is a summary. Thank you. If you can
33 just highlight the 7.0 to the bottom of the page,
34 please?
35 Q In particular, Dr. Kent, my question is with
36 respect to the bottom paragraph which starts:
37
38 A complete list of all Atlantic salmon
39 importations...
40
41 Do you see that on the screen at the bottom of the
42 page?
43 DR. KENT: Yes.
44 Q So it's referencing back the table that we just
45 scanned quickly through. There's a reference to:
46
47 Only eyed Atlantic salmon eggs have been

1 approved by DFO for importation from 1985 to
2 date.
3

4 Is there a significance?

5 DR. KENT: Yes, it's extremely significant in that by
6 having an eggs-only policy, not allowing
7 importation of live salmonid fishes into the
8 province, that you're going to avoid a tremendous
9 number, variety of pathogens to enter the
10 province. So that was our logic behind that.
11 There are vertically transmitted diseases and
12 these are screened for -- there is still some risk
13 of maternal transmission either in the egg or
14 outside of the eggs, but at least you're confining
15 it to a much -- you're basically narrowing the
16 bottleneck significantly, tremendously, as far as
17 preventing the introduction of pathogens.

18 So this idea of the eggs-only policy in my
19 opinion, and the opinion of many others, is that
20 you are dramatically reducing the opportunity of
21 introduction of an exotic pathogen into the
22 province.

23 MR. BLAIR: Mr. Commissioner, could we mark this as the
24 next exhibit, please?

25 THE REGISTRAR: Exhibit number 1482.

26 THE COMMISSIONER: Mr. McDade?

27 MR. McDADE: I've notified the Commission I object to
28 the admission of this document, and I object even
29 stronger after listening to the witness say he has
30 no knowledge about any of these matters.

31 My friend is trying to put in a whole bunch
32 of facts from a document that was prepared solely
33 for him from a witness who's not going to testify
34 and containing a number of facts that we contest
35 as being accurate. This witness isn't testifying
36 to those. I don't think this -- we've been very
37 loose with exhibits throughout the Commission, but
38 this kind of document, prepared solely for the
39 salmon farmers, containing contested facts, should
40 not be put in this manner through the witness.

41 We do have a day later next week where we're
42 dealing with the salmon egg importation. Perhaps
43 we can revisit that now. But this document
44 shouldn't be marked.

45 MR. BLAIR: Mr. Commissioner, I'm happy to respond to
46 that, although does Mr. -- thank you.

47 The process for calling witnesses is well

1 known to all of the participants. My client,
2 concerned with the shortage of time and the bulk
3 of witnesses that needed to be called, recognized
4 that Commission counsel had the right, really, in
5 first instance at least, to decide which witnesses
6 would be called before the Commissioner, and we
7 respect that as do all of the other participants.

8 That notwithstanding, I'm sure we've all
9 advocated that certain people be called to bring
10 their particular expertise on a subject. To that
11 end specifically, my client had a number of
12 reports prepared, yes, specifically for this
13 Commission so the Commission would have current
14 and up-to-date information. We described them as
15 expert reports because indeed they in fact are
16 expert reports prepared by people with special
17 skill and experience and knowledge in the area.

18 We produced them to the Commission counsel
19 and to all participants in the time frame
20 necessary if we were to call them as experts,
21 which is a disclosure earlier in time than if
22 we're merely producing documents to be tendered,
23 so the Commission counsel documents to all of us
24 two weeks before the panel, and all of our
25 documents to everybody one week before the panel.
26 The requirement for an expert report is some 30
27 days in advance of all of that.

28 We had discussions with Mr. Martland and the
29 Commission counsel generally, and we said we're
30 preparing several of these reports. This one I've
31 just referred to is but one of them, and we would
32 like to have these witnesses called. Commission
33 counsel, in electing who could be available in a
34 limited time period indicated that, for example,
35 Mr. Lawrie, there's no time for him.

36 So we call them expert reports because they
37 were prepared that way. We were prepared to call
38 Mr. Lawrie had there been time to call him, and
39 the same will be of my next document and several
40 others that we intend to enter.

41 I see no distinction whatsoever between these
42 documents and all of the other many exhibits which
43 experts on various panels have been asked to
44 review, sometimes in a very cursory way. This is
45 relevant information for the Commission to hear.
46 We have no other recourse, if we have no time for
47 witnesses, but to prepare a written report

1 summarizing the evidence and providing an
2 opportunity for witnesses with the skill and
3 experience of, for example, Dr. Kent, to comment
4 on them, and that's what he's done.

5 So the document speaks for itself. Dr. Kent
6 has explained that it's consistent with his
7 recollection and knowledge of the importance of
8 egg importation quarantine, and therefore we have
9 no way of getting this evidence in, but for filing
10 it. It's completely consistent with the approach
11 taken by all counsel in entering a host of
12 documents before the Commission so that you'll be
13 well informed.

14 MR. MARTLAND: Mr. Commissioner, from Commission
15 counsel's perspective, I'd suggest this ought to
16 be marked as an exhibit. First, as Mr. Blair
17 said, there's not a distinction between documents
18 for which notice is given, and documents for which
19 expert report notice -- this isn't a document that
20 I don't think he's -- I don't hear him to say this
21 document has a special status or calibre or
22 quality to it.

23 With respect, broadly speaking, we have taken
24 a very liberal approach to the introduction of
25 exhibits. If it's been used for a question, very
26 often the document would be made an exhibit. I
27 don't understand the objection framed here to
28 identify an exclusionary rule in the sense that
29 there's something improper about the document.

30 At the end of the day, of course, all of
31 these documents with respect to whatever weight or
32 use can be made of them, will be the subject of
33 one's understanding of all of the evidence and
34 counsel's submissions. Counsel may say that where
35 the witness had never previously read the
36 document, that evidence or that document is
37 entitled to weight or less weight accordingly.

38 With respect to the broader question of
39 documents prepared for the Commission, that has
40 occurred on some occasions. There have been other
41 examples of it. Mr. McDade, in his own list of
42 documents for this panel at Tab 42, includes a
43 document which I would suggest is of a similar
44 character in being prepared really in anticipation
45 of this process today.

46 So unless he's prepared to accept that
47 documents like that are not to go in, generally

1 speaking, there should be a fair and equitable
2 rule for all participants.

3 MR. LEADEM: I don't want to protract this unduly, Mr.
4 Commissioner. Leadem, initial T., for the record.

5 You may recollect that I endeavoured to do
6 more or less what Mr. Blair has attempted to do,
7 or is attempting to do with Mr. Langer's reports,
8 some of which were prepared expressly for the
9 Commission, and they were marked for
10 identification purposes. I have an outstanding
11 request to call Mr. Langer.

12 I would suggest that in the interests of
13 similarity, that we mark this for identification
14 purposes akin to what we did with Mr. Langer's
15 reports.

16 THE COMMISSIONER: Well, Mr. Leadem --

17 MS. GAERTNER: Mr. Commissioner, perhaps just before
18 you respond, I have one more (indiscernible -
19 microphone not on).

20 THE COMMISSIONER: Yes, Ms. Gaertner.

21 MS. GAERTNER: I'm sorry. The suggestion that there's
22 a similar rule being applied to all these
23 documents throughout the Commission is inaccurate.
24 In my submission, there's a list of documents that
25 are listed for identification that have been
26 adjusted for one or different reasons, and the
27 rules are not applied equally to all these
28 documents.

29 So if there's going to be a tendering of the
30 documents, as Mr. Martland has suggested, and the
31 way that he suggested, I suggest we review all
32 those lists of identification. I've had
33 difficulty getting documents in that are
34 referenced in a document. I mean, there's all
35 kinds of ways that there's been difficulties, and
36 no similarity of approach.

37 THE COMMISSIONER: Thank you, Ms. Gaertner. It goes
38 without saying that there is a wide variety of
39 documents that have been marked in these
40 proceedings. In some cases there have been
41 objections. Those objections are often specific
42 to the nature of the document that is attempting
43 to be entered.

44 In this particular case, it's going to be
45 marked for identification purposes. I will leave
46 it for counsel at another stage of this process to
47 make their arguments with respect to its admission

1 as an exhibit, but that's not to say that Mr.
2 Blair is not entitled to ask the witnesses
3 questions about this document. To the extent that
4 Dr. Kent has knowledge in relation to the
5 questions that are being put to him that relate to
6 this document, he should be permitted to answer
7 those questions. So that's how we'll follow this
8 particular process today with this particular
9 document.

10 THE REGISTRAR: Reference to Exhibit 1482, reference to
11 this document will now be marked for
12 identification NN, double N.
13

14 EXHIBIT NN FOR IDENTIFICATION: Lawrie
15 document entitled "Atlantic Salmon
16 Importations into British Columbia 1985-2011"
17

18 MR. BLAIR: Thank you, Mr. Commissioner. We'll get
19 right back to the issue again, Mr. Lunn, if you
20 could produce Tab 7.

21 Q My question again is for you, Dr. Kent, and again
22 with the same preamble for all of the parties
23 today. This document was also prepared at the
24 request of our client for the same purposes of
25 informing the Commissioner with respect to the
26 issues addressed in this report.

27 I'll start, Dr. Kent, do you know Dr. Larry
28 Hammell who is the author of this report?

29 DR. KENT: Yes, I do.

30 Q Have you known him for some time?

31 DR. KENT: I've known him as a colleague for probably
32 15 years or so. I don't know him really well, but
33 I know who he is and I've met with him at
34 conferences and things like that.

35 Q This document is described as "A qualitative
36 assessment of risk and mitigation of importing
37 exotic diseases through eggs". Certainly you have
38 a familiarity with that topic and can speak to it
39 knowledgeably yourself?

40 DR. KENT: I could talk about the topic. I'm not that
41 familiar -- I looked at this document very quickly
42 amongst all the other documents that I was given.
43 But I can talk about more at a subjective level
44 about the ideas, as I already mentioned, about
45 screening pathogens, avoiding introduction of
46 pathogens with eggs or gametes by screening, et
47 cetera.

1 MR. BLAIR: Dr. Kent and Mr. Lunn, I'd like to take you
2 to page 5, pdf 5, as well, of this document.
3 Q My question for you, Dr. Kent, is really what
4 measures can be undertaken to reduce the
5 probability of pathogen introduction, and I direct
6 you specifically to the paragraph in bold,
7 "Comments regarding risk mitigation", where Dr.
8 Hammell describes the risk from egg importation
9 being reduced to low to extremely low, and he
10 lists three methods for doing that. Could you
11 take a moment to read that paragraph?
12 DR. KENT: Okay. Yes, I've read it.
13 Q Do you agree with it?
14 DR. KENT: Yes, I do.
15 Q Thank you. And the only other reference to this
16 particular document, Dr. Kent, is the summary
17 which is immediately below.
18 MR. BLAIR: Mr. Lunn, if you could bring up the
19 paragraph, "Summary"? Thank you.
20 Q Again, Dr. Kent, you indicated you had a brief
21 opportunity to review it so I'll give you an
22 opportunity to read this full paragraph and then
23 I'll ask you a question, please.
24 DR. KENT: Okay, I've read it.
25 Q Thank you. So having read this passage, and
26 knowing Dr. Hammell as you have for a number of
27 years, do you agree that the importation and
28 quarantine programs used in British Columbia have
29 reduced the risk of importing exotic diseases
30 through egg transfers?
31 DR. KENT: Yes, I do.
32 MR. BLAIR: I'd like to have this marked as the next
33 exhibit, please.
34 THE COMMISSIONER: It will be similarly marked, Mr.
35 Blair.
36 MR. BLAIR: Thank you.
37 THE COMMISSIONER: For identification purposes.
38 THE REGISTRAR: Marked as OO.
39
40 EXHIBIT OO FOR IDENTIFICATION: Hammell
41 document titled, " Qualitative assessment of
42 risk, and mitigation, of importing exotic
43 disease through eggs"
44
45 MR. BLAIR: Thank you. I have no further questions.
46 I'm not sure what happens to my time, Mr.
47 Commissioner, as a result of finishing early and

1 having a discussion on evidence, but I'll leave
2 that to the good graces of the Commission and Mr.
3 Martland.

4 THE COMMISSIONER: I may apply to have your time, Mr.
5 Blair.

6 MR. BLAIR: Well, not that I could deny it from you,
7 but you're certainly welcome to it.

8 MR. MARTLAND: Mr. Commissioner, Mr. McDade is next on
9 the list. He has 75 minutes, indeed it may be a
10 further -- it may be 80 minutes. I'm not sure if
11 the Commission's preference is to begin with his
12 questions now or take the morning break.

13 THE COMMISSIONER: No, I think he's ready to go, so
14 we'll let him start.

15 MR. MARTLAND: All right.

16 THE COMMISSIONER: Mr. McDade?

17 MR. McDADE: Gregory McDade for the Aquaculture
18 Coalition.

19

20 CROSS-EXAMINATION BY MR. McDADE:

21

22 Q Dr. Kent, if I might start with your report,
23 report number 1. As I understand it from reading
24 it, you've been away from B.C. for 11 or so years?

25 DR. KENT: Yeah, 12 years.

26 Q Yes. And so it was primarily based on published
27 literature and published studies?

28 DR. KENT: My report was -- yeah, primarily based on
29 published literature and published studies, yes.

30 Q You haven't done any original research into the
31 2009 decline, have you?

32 DR. KENT: Not directly.

33 Q So these -- and as I understood both you and Dr.
34 Stephen to testify yesterday, most of the
35 published studies available on disease are related
36 to diseases on fish farms or hatcheries.

37 DR. KENT: That's correct, captive fish, with some --
38 there are a number of studies that have been done
39 on diseases in wild fishes but not -- but
40 comparatively, much fewer on wild salmonids in
41 particular in the marine environment.

42 Q In particular, your work, for much of your career,
43 is based on -- been reviewing fish farms and the
44 diseases that affect farmed fish.

45 DR. KENT: When I was working in British Columbia, most
46 of my work was on working on diseases in
47 hatcheries and in fish farms. That was up to

1 1999. I moved to Oregon State University at that
2 time. There's not active net-pen farming industry
3 and the aquaculture is quite minimal in Oregon.

4 My research with salmonids shifted at that
5 time to looking at largely to impacts of diseases
6 in wild salmonids, and then of course it's going
7 to be in stocks of importance in Oregon such as
8 working with impacts of parasites on -- associated
9 with over-winter mortality in coho salmon and
10 coastal rivers of Oregon and, more recently, in
11 the last three years, we've been working quite
12 extensively on trying to assess the role of
13 pathogens and pre-spawning mortality in chinook
14 salmon.

15 So I have been continuing to work -- the work
16 in B.C. was mostly with captive fish. The work in
17 Oregon in the last ten years is mostly with wild
18 salmonids. That's one aspect of my research.

19 MR. McDADE: Could we have Dr. Kent's c.v. up on the
20 screen, page 27.

21 Q Dr. Kent, I took a look through your list of
22 published reports, and this is -- this seems to be
23 the part of your resumé dealing with the early
24 1990s. As I scroll through these studies, they're
25 almost all involving net-penned or farmed fish,
26 aren't they?

27 DR. KENT: Those are. Actually, I'm surprised that
28 you'd go to this part of my c.v. These are non-
29 peer-reviewed papers. The peer-reviewed papers
30 would be found earlier in my c.v.

31 Q So if we go to page 20, for instance, that would
32 be peer-reviewed papers, I think, from the same
33 period?

34 DR. KENT: That's correct.

35 Q Those are also all about farmed fish and net-
36 penned fish.

37 DR. KENT: Mostly, yes. That's right.

38 Q And could we go to page 24? I see you've written
39 two books, and those are in the middle of the
40 page.

41 DR. KENT: That's correct.

42 Q And those are both about diseases of net-penned
43 fish?

44 DR. KENT: That's correct.

45 Q So you're primarily an expert in diseases in fish
46 farms.

47 DR. KENT: No. I disagree with that.

1 Q All right. Well, while you were in B.C. that was
2 primarily your --
3 DR. KENT: That's correct.
4 Q -- expertise. All right. And that's the basis
5 upon which you've been called to become an expert
6 at the Commission, I would presume.
7 DR. KENT: I disagree with that. Actually, when I had
8 -- my conversations with Dave Levy were -- and my
9 c.v. was twofold, why I think I'm appropriate for
10 this. One is my past experience with DFO working
11 with the net-pen farms, and my present experience
12 working with diseases in wild salmonids.
13 Q It's fair to say, though, that you -- as I read
14 your report number 1, you haven't really looked at
15 the question of diseases found in fish farms that
16 are transferred to wild fish.
17 DR. KENT: No, I have not worked much in that area.
18 Q You ignored fish-farm disease in the preparation
19 of your report 1, didn't you?
20 DR. KENT: No, I discussed -- most of the pathogens I
21 discussed actually occur in fish farms.
22 Q Yes, but you haven't talked about the risk of --
23 the increased risk of their transfer by the fact
24 that they're in fish farms, have you?
25 DR. KENT: No, I didn't address that much in my report.
26 Q And there are a number of diseases found in fish
27 farms, both in B.C. and throughout the world, that
28 could be quite risky to wild salmon that you don't
29 discuss in your report, aren't there?
30 DR. KENT: The main disease that has been of most
31 concern in B.C. has been with sea lice, and that's
32 been discussed in a separate report, so I did not
33 give much emphasis to that.
34 MR. McDADE: Can I go to page 55 of the report, if I
35 could?
36 Q Now, page 55, there's the comments of one of the
37 peer reviewers of your paper, are they not?
38 DR. KENT: That's correct.
39 Q And I'll just show you to the bottom -- the
40 comment at the bottom of the page, starting:
41
42 A really looming question that hasn't been
43 covered in the report surround the questions
44 relating to fish farms and the potential of
45 this component of [in] their disease
46 history...
47

1 You'd agree with that, wouldn't you?

2 DR. KENT: I agree that that was what was written
3 there.

4 Q Well, no --

5 DR. KENT: I don't agree that that's a big looming
6 question, though. I agree that was written in the
7 document, that that's what a reviewer stated. I
8 disagree with that.

9 If you want my subjective opinion on this, I
10 agree that that is not the looming question as the
11 demise of the sockeye salmon. In my opinion, I
12 think it's certainly on the radar, but it wouldn't
13 be the most looming question and concern.

14 I think where -- I see where you're going
15 with this, that you're trying to emphasize that
16 fish farms are a much more important role in the
17 sockeye salmon than I've particularly -- based on
18 my experience and knowledge, would believe. And
19 that's basically -- of course the bias in my
20 report is directed towards my general feeling,
21 that the fish farms are not the primary source
22 based on the evidence at this point, of the demise
23 of the sockeye salmon.

24 Q It might be best if you didn't try and guess where
25 I was going and just answered the question direct.

26 DR. KENT: Well, you're guessing where I'm going.

27 Q The question I'm asking you is whether your report
28 didn't cover the problems from fish farms,
29 regardless of the reason why.

30 DR. KENT: That's correct.

31 Q It didn't, did it?

32 DR. KENT: It did not. It did not cover -- when I talk
33 about each particular disease and its role, I did
34 not include a section saying what the risk of the
35 diseases emanating from fish farms. In each
36 particular disease, I did not talk about what the
37 role of fish farms would be in transmitting it to
38 sockeye salmon.

39 Q Okay. And this reviewer's comment, you'll agree,
40 was that you should have.

41 DR. KENT: That's his comment, yes.

42 Q And your answer is in the bold, there, at the top
43 of page 56.

44

45 Fish farms and sea lice are dealt with in
46 more depth in another report.

47

1 DR. KENT: That's correct.
2 Q And which report is that?
3 DR. KENT: That's with the various fish farm -- the
4 Report 5, and at that -- now I realize there are
5 several reports that are coming out on fish farms,
6 so that's where it was being dealt with.
7 Q But you were the disease expert contracted to deal
8 with these questions, and they're not disease
9 experts, are they?
10 DR. KENT: I don't know their expertise.
11 Q So you didn't do this fish farms in your report
12 because you felt they were being done at another
13 time; is that fair to say?
14 DR. KENT: And this was following discussions with the
15 Commission. When I had this review back, I
16 discussed this with Dr. Levy about should I expand
17 this, based on the limitations in my report and
18 the time, and then following the discussions of
19 Dr. Levy, that was the decision, to leave this for
20 the fish farm issues.
21 Q Well, before this review ever came in, you'd
22 already decided consciously to ignore fish farms,
23 hadn't you?
24 DR. KENT: No.
25 Q But you didn't do it.
26 DR. KENT: That's right, because I did not find great
27 evidence of diseases being transmitted from fish
28 farms in -- being in the (indiscernible) of
29 sockeye salmon.
30 Q Well, according to this comment, you didn't do it
31 because it was part of --
32 DR. KENT: Other than -- other than the sea lice. So
33 the other pathogens, I found no dramatic evidence
34 -- strong evidence that they would be transmitted
35 from fish farms. And the sea lice is a huge
36 issue. That could have encompassed my whole
37 report. So aside from sea lice -- sea lice was
38 being dealt with in another report. The other
39 pathogens were not -- as far as the evidence to
40 date, other pathogens I don't see as a big risk of
41 being transmitted from farm fish to the wild fish.
42 So, for example, with IHN, I discuss IHN, but
43 there's -- it occurs -- the sources of IHN, in my
44 opinion, for the sockeye salmon, would probably be
45 mainly from other sources than the fish farms.
46 MR. McDADE: If we could go over the page to page 57,
47 please, Mr. Lunn. If we could scroll down to

1 number 5.

2 Q Again here, you'll see, Dr. Kent, there was a
3 comment from a review suggesting that:

4
5 Issues surrounding the linkages between fish
6 culture (and, specifically, fish farms),
7 disease and the potential/likely-unlikely
8 cause of the collapse of Fraser River
9 sockeye.

10
11 Is a big question. You comment is, again, this is
12 for the fish farm report?

13 DR. KENT: That's correct.

14 Q And you're saying that was something the
15 Commission told you or something you decided
16 yourself?

17 DR. KENT: In consult with the Commission, this is what
18 -- the direction that I went with.

19 Q So you're saying the Commission told you not to
20 deal with fish farm disease?

21 DR. KENT: No, they gave me the okay. No, they did not
22 say not to deal with fish farming diseases with
23 sea lice, not to deal with sea lice.

24 Q If I could go to page 38 of the report? This is a
25 statement of work you were given from the
26 Commission, is it not?

27 DR. KENT: That's correct.

28 Q So this is the outline of what you were supposed
29 to do.

30 DR. KENT: Yes, that's right.

31 Q And under 2.1, it says [as read]:

32
33 To study and document the potential effects
34 of parasites and diseases on Fraser River
35 sockeye salmon and their role in the 2009 run
36 failure.

37
38 DR. KENT: That's correct.

39 Q But you didn't -- so there's nothing there saying
40 you should exclude fish farms from your analysis.

41 DR. KENT: No.

42 Q And under 3.1, it says you'll take a broad view of
43 sockeye diseases and parasites and evaluate the
44 full spectrum -- the full spectrum of diseases.
45 That doesn't say you should ignore fish farms in
46 favour of Project 5, does it?

47 DR. KENT: You keep on flipping between fish farms and

1 disease. There is -- there'd be something like --
2 it would be equivalent to say emphasizing
3 hatcheries. It's kind of like you're comparing
4 these as apples and oranges. You keep going fish
5 farms, I didn't address the role of fish farms in
6 disease.

7 I talk about the diseases specifically, and
8 then if there was a direct link to fish farms --
9 we're talking about the directive is to look at
10 the impacts of a number of diseases. My directive
11 was not to look at the role of fish farms and the
12 impact on sockeye salmon.

13 Q But let's just be clear. You didn't spend any
14 time studying the role of fish farms in the
15 causation of disease.

16 DR. KENT: I disagree.

17 Q Did you look at the Fish Health Database?

18 DR. KENT: Which exhibit is that one?

19 MR. McDADE: Mr. Lunn, could we have up the list of
20 documents that I referred to as the Fish Health
21 Database?

22 MR. LUNN: Yes, one moment.

23 MR. McDADE:

24 Q Dr. Kent, that's the actual spreadsheets and
25 reports of the fish health auditing and the
26 reports that the fish farms make to the province
27 around fish health. Did you look inside those
28 documents?

29 DR. KENT: I look at -- I scanned them. There's quite
30 a few of them. If I believe -- are these the
31 Excel sheets that -- in the form of an Excel
32 sheet?

33 Q Yes.

34 DR. KENT: Yeah, I've looked at them. They came to me
35 quite late. I actually reviewed them this
36 morning. I scanned through them. They're pretty
37 extensive, but I didn't go through them in all
38 sorts of detail.

39 Q So did you see -- did you have them when you did
40 you report?

41 DR. KENT: No, I didn't.

42 Q Well, wouldn't they be relevant to your report if
43 there's diseases that are all over those
44 spreadsheets?

45 DR. KENT: They'd be useful. It's not peer-reviewed
46 literature, but they would be useful.

47 Q Well, what's the distinction from peer-reviewed

1 literature?

2 DR. KENT: It's been validated by professionals. It
3 would be of use, but I -- given the limitations
4 that I had with my time, the most useful data were
5 peer-reviewed papers for the study.

6 Q And so if DFO hasn't studied a matter, if there's
7 no peer-reviewed paper on it, for you, it didn't
8 exist?

9 DR. KENT: No, I said it has less significance to me.

10 MR. McDADE: All right. This might be an appropriate
11 time, Mr. Commissioner.

12 THE COMMISSIONER: Thank you.

13 THE REGISTRAR: The hearing will now recess for 15
14 minutes.

15
16 (PROCEEDINGS ADJOURNED FOR MORNING RECESS)
17 (PROCEEDINGS RECONVENED)

18
19 THE REGISTRAR: The hearing is now resumed.

20
21 CROSS-EXAMINATION BY MR. McDADE, continuing:

22
23 Q I understand, Dr. Kent --

24 THE COMMISSIONER: Your microphone, Mr. McDade. Your
25 microphone, thank you.

26 MR. McDADE: Sorry.

27 Q As I understand it, Dr. Kent, then, the databases
28 that are listed on the screen are ones that you
29 did not have at the time of writing your report,
30 but you have subsequently reviewed.

31 DR. KENT: I did not have them at the time of my
32 report. I can't remember which ones I reviewed
33 and which ones I haven't. Just based on names
34 like DCPO001645, I don't -- my memory's not that
35 good to remember every single report. The names
36 are very similar, so I can't -- I can't, in
37 honesty, tell you which ones of these reports I've
38 looked at carefully and which ones I haven't. If
39 you want to pull any of these specific reports,
40 I'd be happy to review them with you.

41 MR. McDADE: Yes. Can we have then, the first document
42 on the screen up on -- well, before we do that,
43 Mr. Commissioner, I'd just like to mark this list
44 as an exhibit, because I think it will make things
45 a lot quicker and easier in the future.

46 THE COMMISSIONER: I'm not going to stop you from doing
47 that. I just would prefer if you go through it a

1 bit so I understand what it is, Mr. McDade, and
2 then we'll deal with the marking of it.
3 MR. McDADE: All right.
4 THE COMMISSIONER: Thank you.
5 MR. McDADE: Well, let's take the first list, the first
6 document on the list, and --
7 MR. MARTLAND: Sorry, Mr. -- I just rise because Ms.
8 Callan's here I presume to object. I don't know
9 that Mr. McDade noted that.
10 MR. McDADE: Oh, sorry.
11 MS. CALLAN: Yes. I propose that we put off marking
12 any of the databases until Dr. Marty gets a chance
13 to give evidence, because some of these databases
14 are going to be used for an upcoming publication.
15 And I think in all fairness to Dr. Marty so he can
16 actually speak about this issue and inform the
17 court, any decision on whether they're marked as
18 an exhibit should be put off until that time.
19 MR. McDADE: Well, I'm not proposing to mark it at this
20 point.
21 MR. TAYLOR: And I'm up trying to shorten things.
22 This, unless Mr. McDade says otherwise, is his
23 list of documents for what he wants to do now, and
24 it can be marked for ID and nothing more.
25 MR. McDADE: I have no problem with that.
26 THE COMMISSIONER: All right. Well, let's do it that
27 way, then. Thank you.
28 THE REGISTRAR: The document will be marked as for
29 identification PP, double "P".
30
31 PP FOR IDENTIFICATION: List of Fish Health
32 Databases produced to Cohen Commission by
33 Aquaculture Coalition
34
35 THE COMMISSIONER: Mr. McDade, if you could just for
36 the record identify what the document is.
37 MR. McDADE: Yes. This is a document listing 20
38 separate Ringtail numbers -- Ringtail documents
39 that I contend are the list of B.C. databases
40 relating to fish health. The first one is a
41 spreadsheet relating to the BCMAL audits. The
42 second is related to the fish that are submitted
43 by the fish farms to BCMAL, and most of the rest
44 of these are Dr. Marty's, or BCMAL databases of
45 various animal health reports that he's prepared.
46 THE COMMISSIONER: Thank you very much.
47 MR. McDADE: So I guess we have 2864 up on the screen.

1 Can we have it up as an Excel sheet, Mr. Lunn.
2 MR. LUNN: I have that version, certainly.
3 MR. McDADE:
4 Q This is a spreadsheet -- if you could scroll down,
5 Mr. Lunn, I think it goes from number 1 through
6 many, many hundreds of reports. As I understand
7 it, Dr. Kent, these are a summary of the various
8 audits that are taken from time to time by BCMAL.
9 of the four or five fish that are taken and
10 analyzed. You've seen that before?
11 DR. KENT: I just looked at this very quickly.
12 Q Yes. And Mr. Lunn, if you could go to the
13 abbreviation section, which is the Tab -- fourth
14 tab. You will see the -- on the right-hand side,
15 the -- in text the various summaries, three-letter
16 summaries, for the cause of death in alphabetical
17 order. And if we could just scroll down to "ISH",
18 for instance. Are we able to -- "ISH" stands for
19 interstitial -- and maybe you can pronounce that
20 for me. Can you read that?
21 DR. KENT: Where are we at, -- oh, interstitial
22 hyperplasia of the kidney.
23 MR. McDADE: And if you could just read what it says
24 there, if you could highlight that, Mr. Lunn.
25 MR. LUNN: I can only do so much with magnification in
26 Excel, but I'll do my best.
27 MR. McDADE: I think if you just click on that -- that
28 cell, it will show up at the top, and the next
29 cell over, yes.
30 Q "ISH" -- I think what it says there is [as read]:
31
32 ISH is evidence of increased demand for
33 erythrocytes or white blood cells sometimes
34 in the body. In chinook salmon this lesion
35 is often associated with the clinical...
36
37 Can you scroll over on this?
38 MR. LUNN: I'm trying.
39 MR. McDADE:
40 Q
41 ...the clinical diagnosis of marine anaemia.
42
43 So ISH is a lesion associated with marine anaemia,
44 according to the authors of this document.
45 DR. KENT: That's correct.
46 Q Yes. Now, if we could go back to the Pacific Tab,
47 these would be Chinook salmon. And if you could

1 scroll across to the ISH column, which is I think
2 the AT column. Yes. So if you could highlight
3 the AT column, Mr. Lunn. Do you see that there,
4 Dr. Kent?

5 DR. KENT: Yeah, I see that.

6 Q And so fish-by-fish, you'll see that there's an
7 indication in the ISH column of marine anaemia.

8 DR. KENT: No, that's not right.

9 Q Well, the symptoms associated with marine anaemia.

10 DR. KENT: Interstitial hyperplasia of the kidney can
11 be caused by a vast number of organisms, including
12 plasmacytoid leukemia, or referred to as marine
13 anaemia. When we -- when we worked with this
14 disease and came up with a diagnosis, a diagnosis
15 for plasmacytoid leukemia would require seeing a
16 proliferation of immature lymphocytes,
17 particularly plasma cells. It's pretty difficult
18 to differentiate by histopathology in other organs
19 that go beyond the tissues where hemopoieses
20 occurs, that is when blood formation occurs.

21 So the kidney in fish is where blood is
22 formed. It's basically equivalent to our bone
23 marrow. So you could have a hyperplasia,
24 increased numbers of cells in the blood forming
25 organ, which would be the kidney interstitium,
26 caused by a vast number of organisms. When we
27 make a diagnosis of marine anaemia is when we see
28 these immature cells, basically a leukemia-like
29 condition occurring in organs outside of blood-
30 forming organs.

31 So that would not be inconsistent with marine
32 anaemia, but would not be pathognomonic for marine
33 anaemia.

34 Q But you see how this database works. It's a list
35 of various symptoms.

36 DR. KENT: Yes.

37 Q And you would depend on the diagnosis for the --
38 eventually the diagnosing veterinarian?

39 DR. KENT: Yes. And this is -- if this was prepared by
40 Dr. Marty, or his group, as a histopathologist he
41 described the lesions and eventually the typical
42 pattern would be then a veterinarian, a clinical
43 veterinarian, taking information on knowing the
44 species, the history, other information about the
45 fish, in conjunction with the pathological changes
46 would make the diagnosis. And sometimes the
47 diagnosis is made very strongly based on

1 histopathology, sometimes in this case, this --
2 like, for example, interstitial hyperplasia, if
3 they had run a test and found bacterial kidney
4 disease in the same fish, you know, by another
5 test, a molecular test or a culture, you would say
6 -- the veterinarian would probably say the
7 diagnosis would be bacterial kidney disease, not
8 marine anaemia.

9 So it's part of what a veterinarian uses for
10 making their diagnosis, and sometimes it's very
11 strong. Sometimes it's the major part of making
12 the diagnosis.

13 Q And sometimes you might have two or three symptoms
14 of a disease and not a fourth, and not be able to
15 make any diagnosis at all.

16 DR. KENT: Fish don't develop symptoms. They develop
17 clinical signs, but that's just some vernacular
18 use of it. But anyway, you can have multiple
19 lesions and sometimes you can have multiple
20 diagnoses, for sure.

21 Q So did you review these documents to determine
22 what diagnoses were?

23 DR. KENT: No, not in any extent. I'm aware of the
24 diseases that are occurring. I did not review
25 these extensively for the fish farms. And I guess
26 to take a little step back on what your
27 accusations were before we had the break, that I
28 deliberately ignored the role of fish farms, I
29 generated my list of what was the most important
30 diseases that we had. We've gone over those the
31 last couple of days. And for any of those
32 diseases, where there was an indication of a role
33 of fish farms being a major source, or any source
34 of these diseases to those sockeye salmon, I
35 certainly would have addressed it.

36 So I guess I could have done, if this
37 probably would have made your group happier, if I
38 had a separate category of role and diseases with
39 each one of these particular high priority
40 diseases, I could say -- I could have stated "No
41 direct evidence at this time" and maybe that would
42 have clarified the situation, where you contend
43 that I just deliberately ignored the role of fish
44 diseases, if I did not find from my information a
45 concrete role of fish farms in these particular
46 high risk diseases as far as transmitting to wild
47 salmon, I would have put it in there.

1 Q But how would you know without looking at the
2 diagnosis what role fish farms were playing?
3 Wouldn't you have to know how many times these
4 diseases have been diagnosed?

5 DR. KENT: Some of these diseases, this would be
6 helpful information but we know the nature of
7 transmission of these diseases, et cetera, and
8 some of the sources of these, like
9 *Ichthyophthirius multifiliis*, that's a disease
10 that occurs in freshwater that would not have any
11 relationship to the occurrence in these -- in the
12 wild fish. So basically it's from a general
13 knowledge. Of course this would be -- this would
14 be a useful additional knowledge for some very
15 specific hard data on the prevalence. And I
16 assume that these -- and the prevalence and the
17 distribution of these pathogens. I'm not saying
18 that this would not be useful information, but it
19 was not required for me to do my report.

20 Q So you didn't look at how many times the disease
21 marine anaemia has been diagnosed in B.C. fish
22 farms over the last ten years.

23 DR. KENT: No, I didn't, and I don't see -- and I don't
24 see a diagnosis of marine anaemia on here.

25 Q No. But that's my point. You don't know how many
26 times marine anaemia has been diagnosed, do you?

27 DR. KENT: No, I don't.

28 Q You don't know how many times IHN has been
29 diagnosed, do you?

30 DR. KENT: That information is from other reports, et
31 cetera, where -- where other data report that
32 there has been no outbreaks of IHN. That's from
33 other grey literature data that were given to me.
34 So I'm not relying on the absence of IHN outbreaks
35 in B.C. farms, based on this database. I was
36 basing that on summaries from other documents that
37 I had available for me when I was preparing this,
38 when I was preparing this overview.

39 Q Summaries of other documents, that is, something
40 that the people who prepared these documents have
41 summarized for you?

42 DR. KENT: That's my understanding.

43 Q So you have to rely on their accuracy.

44 DR. KENT: I don't have to rely on those. That's what
45 I used. As I said, this particular -- I don't know
46 who I should address this to -- when these
47 documents became available, I'm not quite sure.

1 You probably could answer that.
2 Q So, yes, I understand these documents weren't even
3 available at the time you prepared your report;
4 isn't that right?
5 DR. KENT: That's my understanding.
6 Q So you had to rely entirely on what you were told
7 about whether these diseases appeared.
8 DR. KENT: And the peer reviewed literature.
9 Q Could we have Aqua 30 up on the screen. Do you
10 see the chart at the bottom of this document.
11 What I suggest to you that is, is a list taken
12 from the document we just looked at, 2864, of the
13 number of times these various clinical signs
14 appear in that document.
15 DR. KENT: Okay.
16 Q Would you consider that relevant?
17 MR. MARTLAND: And I wonder, Mr. Commissioner, as you
18 indicated previously, if Mr. McDade's in a
19 position to explain what we're looking at, what
20 its provenance is, what it describes.
21 MR. McDADE: I was about to -- I was doing that.
22 Q As I understand this, this is a list prepared by
23 Dr. Morton from the document we just looked at of
24 the number of -- just a simple arithmetical
25 calculation of the number of times these various
26 clinical signs appear in each of those columns.
27 DR. KENT: And I would -- I see this thing and I would
28 be interested, and she's not a veterinarian, how
29 she came up with a -- if it specifically said
30 "Marine Anaemia" and Dr. Marty gave a diagnosis of
31 marine anaemia, or was this interpretation of
32 interstitial hyperplasia and assigning the
33 diagnosis of marine anaemia. I don't know that.
34 Q You'd have to know the answer to that to be able
35 to give an opinion, wouldn't you.
36 DR. KENT: That's right.
37 Q So this document is essential to being able to
38 give an opinion about whether marine anaemia
39 exists in fish farms or not.
40 DR. KENT: And how -- and how the diagnosis was
41 achieved.
42 Q And if I could go up to the chart, which is just a
43 straight arithmetical preparation from the
44 documents below, if I suggest to you that there
45 are some 1,100 references in document 2864 to ISA,
46 to classical signs -- classical signs of ISA, what
47 do you say about that?

1 DR. KENT: I'd like to hear -- I'd like to hear how
2 this diagnosis of what they mean by classical
3 signs of ISA lesions are. Who came up with
4 assigning this to say these are ISA-like lesions?
5 Did Dr. Marty call these ISA-like lesions?

6 Q Yes, I think he did. If we could go back to 2864.
7 If we could go to the abbreviation section, and if
8 we go to say, "HEM", and if we could scroll over
9 to see what it says there on that cell. Again I
10 think we have that same problem [as read]:

11
12 HEM is often associated with VHSV and
13 bacterial infections.

14
15 And then he says [as read]:

16
17 Renal congestion and haemorrhage is one of
18 the classic signs of infectious salmon
19 anaemia, ISA, but ISAV has never been
20 isolated from fish in B.C.

21
22 Do you see that?

23 DR. KENT: Yeah, I see that. Thank you. Thanks for
24 clarifying that ISA has not been seen in B.C.

25 Q Right. But these are classic ISA lesions, are
26 they not?

27 DR. KENT: They're not pathognomonic for ISA.

28 Q How do you know that?

29 DR. KENT: How do we know it's not pathognomonic?

30 Q How do you know that?

31 DR. KENT: I know it's not pathognomonic for ISA
32 because haemorrhage and congestion of visceral
33 organs could be caused by a variety of different
34 pathogens and non-infectious agents. So it's not
35 pathognomonic for ISA.

36 Q But it could be ISA.

37 DR. KENT: It could be ISA, sure.

38 Q Right.

39 DR. KENT: It's a histopathological change that's not
40 inconsistent with ISA. So just jumping to saying
41 that it's ISA-like lesions is really
42 misrepresentation of a histopathological report,
43 because there are many other causes of these non-
44 specific lesions.

45 Q But those are Dr. Marty's words.

46 DR. KENT: He list ISA as one of the causes and he also
47 -- you notice his first thing is a non-specific

1 result of endothelial damage.
2 Q All right. And, actually, yes, if we go down
3 there. Can we go down to SES -- "SSC", sorry,
4 sinusoidal congestion. Again, if we could look at
5 what it says at the end of that. Again Dr. Marty
6 said "Classic lesion of ISA".
7 DR. KENT: Also, I would -- it is a classic lesion of
8 ISA, but let's talk about a pathogen that we know
9 occurs in B.C., it's a classic lesion of
10 *vibriosis*, as well, too.
11 Q So for each of these samples, one would want to
12 test for either disease.
13 DR. KENT: Yes, of course.
14 Q And if there's an open diagnosis, when one doesn't
15 know which of the diseases it is, it could be
16 either, isn't it?
17 DR. KENT: It could be, but if the -- yes, of course,
18 it could be either. You have not ruled out that
19 if you see a lesion like this, you have not ruled
20 out that it's ISA and you haven't ruled out other
21 things, as well, too.
22 Q So my question, Dr. Kent, is without reviewing
23 this document, how could you rule out ISA in B.C.?
24 DR. KENT: Based -- there's no additional evidence that
25 ISA is occurring. These lesions are too non-
26 specific to make me go to a conclusion that based
27 on the viral screening which has not found the
28 virus, when I see these two lesions -- I haven't
29 reviewed the histopathological slides, but I know
30 that Gary Marty is a very competent, Board
31 certified pathologist, and that these particular
32 lesions are just way too broad that I would be
33 suspecting ISA, particularly because the virus has
34 not occurred here. It would be like if you had a
35 human that came to the hospital here in Vancouver
36 and showed excessive haemorrhaging. You wouldn't
37 say, well, that excessive haemorrhaging is
38 consistent with Ebola virus. Well, you didn't
39 test for Ebola virus so therefore we're going to
40 say it had Ebola virus. That's kind of the way I
41 can see that you're kind of going with this --
42 with this discussion.
43 Q Well, actually, I'm just trying to examine your
44 report.
45 DR. KENT: Okay.
46 Q It seems to me it was you that said --
47 DR. KENT: No evidence.

1 Q -- that the risk is -- there's no evidence of ISA.
2 DR. KENT: That's correct.

3 Q And you're basing that on the fact that there's no
4 published literature that says there's a case.

5 DR. KENT: And there also, whatever the documents that
6 were given to me, I did review another document.
7 I'm not sure exactly what the number was, where
8 they've actually screened with a specific test for
9 the virus a number of fish somewhere in the
10 hundreds, and then not found the virus. I don't
11 know if you could address the Province, if they've
12 been looking at these. If anyone's done any
13 virological examination on these specific fish, I
14 have no knowledge of that. But they have screened
15 fish and they not have detected the virus. And so
16 that's what I'm basing -- I'm not basing -- we
17 could ignore these histopathological changes. I'm
18 basing there is no record of ISA virus in B.C.
19 based on the limited -- on the fishes that have
20 been screened for the disease, and with a specific
21 test.

22 These tests are far too non-specific to
23 ascribe ISA and in light of -- if ISA had been
24 actually isolated in B.C., then I would add a
25 little bit more weight to these particular lesions
26 and my diagnosis would go up a little bit higher
27 as far as ISA being a differential diagnosis. But
28 if we have these types of changes that we see here
29 and are known pathogens and known conditions
30 within B.C. that can cause these, ISA would be
31 pretty well on my list.

32 MR. McDADE: Mr. Commissioner, I'd like to mark that
33 chart and graph for identification.

34 MR. TAYLOR: No. I'm not sure which one Mr. McDade is
35 referring to, but I take it that he's referring to
36 as one thing the document that was on the screen a
37 few moments ago.

38 MR. McDADE: Yes.

39 MR. TAYLOR: This is something as I understand it Ms.
40 Morton prepared. She is not an expert in this
41 area. This falls in the same camp, and worse,
42 than the document that came up when Mr. Blair was
43 speaking. This is equivalent to or akin to
44 someone coming in and giving their own unexpert
45 view of expert material, and that should not
46 happen.

47 MR. McDADE: I'm asking to mark it for identification

1 on exactly the same premise that the previous
2 documents were marked for identification.
3 MR. TAYLOR: Well, for identification, I mean, I can't
4 really object to that. But it is simply there for
5 the bare identification, and nothing more.
6 MS. CALLAN: The Province also would support the
7 federal government's objection and notes that any
8 identification or any reference to it should be
9 put off until Ms. Morton testifies.
10 THE COMMISSIONER: We'll mark it for identification,
11 Mr. McDade.
12 MR. McDADE: Yes, thank you.
13 THE REGISTRAR: That document will be marked for
14 identification QQ, double "Q".
15
16 QQ FOR IDENTIFICATION: Graphs of BCMAL Audit
17 data (BCP002864) Region 3 only (excludes west
18 coast Vancouver Island)
19
20 MR. McDADE: And the previous document, the Excel
21 spreadsheet, can I ask that that be marked as an
22 exhibit.
23 THE COMMISSIONER: Mr. McDade, just so I understand,
24 there was the spreadsheet, but prior to that there
25 was another document on the screen. Are they both
26 the same document?
27 MR. McDADE: They're both -- they're different tabs of
28 the same document.
29 THE COMMISSIONER: Oh, I see. Thank you.
30 MS. CALLAN: And the Province would object to this
31 being marked as an exhibit until Dr. Marty
32 testifies, because of the upcoming publications.
33 THE COMMISSIONER: We'll mark it for identification,
34 then, thank you.
35 THE REGISTRAR: Which is marked as RR, double "R".
36 THE COMMISSIONER: Thank you.
37
38 RR FOR IDENTIFICATION: Marty, Histopathology
39 of Atlantic salmon sampled as part of the BC
40 Auditing and Surveillance Program
41
42 MR. McDADE: Sorry, Mr. Commissioner, I don't
43 understand the basis of the objection. This is a
44 document prepared by the Province. It's not
45 prepared for this hearing. It's an accurate
46 document. It should be an exhibit.
47 THE COMMISSIONER: I'm not saying it won't be, Mr.

1 McDade. I'm just -- Dr. Marty is coming to
2 testify, we can deal with the marking of it as an
3 exhibit when he appears.
4 MR. McDADE: All right.
5 Q Now, Dr. Kent, let's move to a slightly different
6 topic. I take it you'd agree with me that fish
7 farms can cause a significant change in the
8 environment that wild fish swim through in
9 relation to potential risk of disease.
10 DR. KENT: I don't agree with that. There is a
11 potential for risk, but "significant", that has
12 yet to be proven. There is -- that would be a
13 concern, but I wouldn't say they are a significant
14 risk. It's one of the areas of risk that would
15 need to be addressed.
16 Q So you say it's a risk but not a significant one,
17 or of unknown significance?
18 DR. KENT: Unknown significance would be more accurate.
19 Q All right. I'm referring to an earlier paper that
20 I think you wrote in which you said that the two
21 ways in which fish farms can impact fish are
22 either a new disease or to take an endemic disease
23 and make it worse. Is that...
24 DR. KENT: That's correct.
25 Q So there are a lot of ways in which a fish farm
26 can make an endemic disease or an endemic pathogen
27 a higher risk for disease.
28 DR. KENT: That's correct.
29 Q Yes. And fish farms by their very density are
30 great places for the emergence of disease, aren't
31 they?
32 DR. KENT: Well, there's the densities, there are --
33 densities would play a role in directly
34 transmitted diseases. This is kind of a --
35 there's an assumption that's made out there that
36 farm fish are under more stress and more disease
37 than wild fish, and actually, if you look, wild
38 fish have a higher prevalence and abundance of
39 pathogens than farm fish. Density is one thing
40 that would be in a negative favour towards fish in
41 net pens, but there's many other factors that are
42 basically, and they're positive for there to be
43 less disease, such as controlled diseases, as a
44 control of freshwater diseases as they're put into
45 the pens. The opportunity to vaccinate, remove
46 sick fish from -- dead fish quickly from the
47 environment, et cetera.

1 So, yeah, crowding would be one that would be
2 shifting more towards more diseases, but this
3 should be put in context because there's a lot of
4 other factors that would actually be in the favour
5 of farm fish to have less diseases.
6 Q But they can increase the rate of pathogens that
7 wild fish are exposed to?
8 DR. KENT: Yes.
9 Q And particularly when a fish farm is undergoing a
10 disease outbreak, they greatly increase the risk
11 of pathogens to wild fish.
12 DR. KENT: They greatly increase the numbers of
13 pathogens in the environment, making the
14 assumption that they're greatly increasing the
15 chance of infection of these pathogens. That's
16 really a large unknown because we don't know very
17 much about the survival of many of these directly
18 transmitted pathogens in the marine environment.
19 So, yes, that would be a reasonable assumption to
20 say that there's generally numbers of pathogens in
21 and around the pen are going to be increased. How
22 this would increase the exposure and infection in
23 wild fish, that's -- that's really an important
24 question that has to be answered for most
25 diseases.
26 Q Fish farms can get a disease from wild fish and
27 then incubate it or amplify it, can't they?
28 DR. KENT: That's correct.
29 Q Fish farms can take a disease that's present in an
30 avirulent form in wild fish, and have it mutate to
31 a virulent form. That's been seen as well, hasn't
32 it?
33 DR. KENT: I'm not aware of that. Maybe you could tell
34 me about which document referred to that one.
35 Q You don't know anything about increases of --
36 DR. KENT: Virulence in a fish farm from a wild -- no,
37 I don't know of a specific example of that.
38 Q Dr. Stephen, would you agree with that comment?
39 DR. STEPHEN: Oh, I'm not aware of a case of that,
40 either.
41 Q What about ISA in Norway? No?
42 DR. KENT: Actually, Dr. MacWilliams has done -- who
43 has done a lot of work on ISA, maybe she could
44 respond to that.
45 DR. MacWILLIAMS: There is a recent publication that
46 proposes that that has happened, that the
47 avirulent form may have in a farm mutated to a

1 virulent form of ISA.

2 Q In Chile?

3 DR. MacWILLIAMS: I haven't read a paper on Chile.

4 I've read a paper on Norway, by Lyngstad.

5 Q Well, Dr. Kent, it's fair to say there's a whole
6 body of literature, is there not, on how fish
7 farms increase the risk of disease for wild fish
8 that you haven't referred to.

9 DR. KENT: I'm not really familiar with -- give me some
10 specific references that you're talking about.

11 Q All right. Let me -- can we go to Aqua 17. And
12 if we could just blow up the first line or two of
13 the abstract. You'll see this is a paper by
14 Rimstad published in -- what's the name there, the
15 journal of *Aquaculture Research*. You're familiar
16 with that journal, aren't you, Dr. Kent?

17 DR. KENT: Yeah, I'm familiar with the journal. I'm
18 not familiar with this particular article, though.

19 Q All right. The first line is:

20
21 Aquaculture can offer close to ideal
22 environments for the spread of infectious
23 diseases.

24
25 Do you agree with that statement?

26 DR. KENT: I think that's an overstatement. I would
27 say -- I would write:

28
29 Aquaculture can provide an environment for
30 the spread of infectious diseases.

31
32 This idea, this is kind of sensationalized, "close
33 to ideal environments". There would be much more
34 -- poorly run aquaculture with no disease control
35 would be more appropriate. But aquaculture in
36 general I wouldn't say offers close to ideal
37 environments for spread of infectious diseases.
38 So I would agree with the statement proper, but I
39 would -- I would modify it. It's slightly
40 incorrect.

41 Q The next statement says:

42
43 Owing to high-density monoculture of hosts,
44 numerous possible routes of transmission and
45 suboptimal protection by available
46 vaccination for several viral diseases,
47 viruses may thrive in modern salmonid

1 aquaculture.

2

3 You'd agree with that statement, wouldn't you?

4 DR. KENT: Yes.

5 Q All right. If you could go to the next column
6 across the -- if you see the middle of the first
7 paragraph:

8

9 The history of modern aquaculture indicates
10 that farmed fish are susceptible to new and
11 emerging diseases, and factors like fish
12 density and suboptimal environment are
13 important in this respect.

14

15 Would you agree that fish farms have been subject
16 to new and emerging diseases?

17 DR. KENT: Yes. The farms have.

18 Q Yes. And many of the current diseases known to
19 wild salmon have first shown up in fish farms.

20 DR. KENT: They were first detected in fish farms, and
21 there should be some clarification on this. And
22 this is some from direct work that we've done.
23 Often these viruses don't spontaneously emerge in
24 these farmed fish. What happens is -- or
25 pathogens in general, what generally happens is
26 that the scenario would be that these pathogens
27 are occurring in these wild fish. They're not
28 being detected. Particularly the pathogens that
29 would be occurring in the marine environment, no
30 one's looking at diseases in the marine
31 environment of salmonids, or very little has been
32 done. And then the -- then the fish are starting
33 -- are raised in captivity, as you said, under
34 more close scrutiny, under denser conditions, and
35 then these pathogens emerge. Subsequently we --
36 the general scenario would be you go back and
37 actually these diseases occurred in the wild fish.

38 A good example is the ISA virus, which was
39 first detected in the Atlantic, I believe in
40 Norway, then Scotland. Subsequently they went
41 back and determined that there was -- that it did
42 occur in the wild marine salmonids and other
43 fishes. So it needs a little bit of
44 clarification. Yeah, that's -- yes, you're
45 correct in saying the first detection or
46 description of diseases that affect wild fish
47 often are first described in farm fish. But

1 jumping to the conclusion that then they're --
2 what often happens is a mistake, is that people
3 say, well, oh, so then subsequently we went back
4 and looked at the wild fish and it was in them,
5 and therefore it must have come from the wild
6 fish.

7 And this is where we can -- I can contend in
8 my Recommendations part about this understanding
9 of the baseline, having baseline information would
10 help this situation a lot more.

11 Q If we could scroll down the page -- that will do,
12 where the mouse was right there in the middle of
13 that paragraph:

14 Properties of the virus like virulence,
15 infectious dose and routes of transmissions
16 are factors that are important determinants
17 of whether a disease will emerge or remain
18 sporadic.
19

20
21 Do you agree with that?

22 DR. KENT: Can you put the mouse on that particular
23 statement that he read. Okay.

24 Yes, I agree with that.

25 Q And so a disease that may be present at a very low
26 rate in wild salmon can enter into fish farms and
27 cause significant problems.

28 DR. KENT: That's correct.

29 Q And if you go over the page, if I could, to:

30 In Norwegian farming of salmonids --

31 - where you're at in the middle of the page
32 there -

33 -- the diseases pancreas disease (PD) and
34 heart- and skeletal muscle inflammation
35 (HSMI) are both regarded as emerging.
36

37 And these are two examples in Norway. You've
38 heard of them?

39 DR. KENT: Yes, I have.

40 Q Right. And ISA, pancreas disease, HSMI, were
41 never heard of in wild fish in Norway until they
42 had fish farms, right?

43 DR. KENT: That's correct. That's just what I was
44 discussing.
45
46
47

1 Q And if a disease like HSMI shows up in Canada,
2 your conclusion would likely be that it came from
3 wild fish?

4 DR. KENT: Yes.

5 Q Over the page, please. The same with the section
6 on ISA. If ISA shows up in Canada, are you going
7 to conclude that it came from wild fish?

8 DR. KENT: Yeah, based on what I know. And Dr.
9 MacWilliams might be able to expand on that,
10 because she's an expert on ISA. My understanding
11 of ISA when they do the genetic typing, when it
12 moved from Scotland, when they observed it first
13 in Norway, and then they saw it in Scotland, the
14 first assumption was that, oh, it must have come
15 with fish farming activities between Norway and
16 Scotland. Genetic typing of the virus showed that
17 they were quite distinctive and it was confined to
18 the marine environment. And actually they
19 occurred independently in Norway and Scotland.

20 I believe I'm just going to -- I'm not an
21 expert on ISA and I think Dr. MacWilliams might be
22 able to expand on this, as well, too, or correct
23 me if I'm wrong on this, and I believe it's the
24 same situation. I'm not sure about the situation
25 in Chile, but I assume it's the same situation.

26 So based on what we've seen in the past, I
27 wouldn't say that you just immediately conclude
28 that it came from the wild fish, but I would say
29 based on what we've seen with other diseases, the
30 abundance in wild fishes here, that if ISA
31 occurred in farmed fish in B.C., without having
32 any further evidence, and you want me to answer,
33 where do you think it came from? I think, and
34 this is not proven, I would think that it came
35 from wild fish. We would want to follow-up very
36 closely looking at it, because this is an
37 important disease, but that's basically my answer.

38 Maybe Dr. MacWilliams could expand on the
39 coho situation, and down in Chile, I'm not quite
40 sure on that one.

41 DR. MacWILLIAMS: I would say that I would disagree.
42 If ISA were detected here, I would presume it came
43 from a break in biosecurity, either at a farm
44 level or through international transport. I would
45 not presume it's coming from wild fish in B.C.,
46 because there have been tests, and people have
47 looked for ISA with very sensitive micro tests and

1 it has not been found. So I would presume that
2 that was an iatrogenic introduction, that a break
3 in biosecurity somewhere along the line.

4 MR. McDADE: Can I have that study marked as the next
5 exhibit, please.

6 THE REGISTRAR: Exhibit number 1482.

7
8 EXHIBIT 1482: Rimstad, Examples of emerging
9 virus diseases in salmonid aquaculture,
10 Aquaculture Research, 2011
11

12 MR. McDADE:

13 Q Can I have Aqua 18 up on the screen.

14 DR. KENT: Mr. Commissioner, I'd just like to follow up
15 on Dr. MacWilliams' questions. This is a good
16 example, as we kind of, we would disagree a little
17 bit on this, but I think - at least I'll speak for
18 myself - I'm not saying, oh, we're directly
19 opposed to this. This would be an observation
20 that we would make and then we'd say, okay, now, I
21 have a hypothesis it came from the marine
22 environment; Dr. MacWilliams has a hypothesis that
23 it comes from a breach of biosecurity. We would
24 immediately want to be doing more extensive
25 examinations of the wild fish and immediately
26 looking at where this potential breach of
27 biosecurity. I wouldn't just say, "Oh, no, you're
28 wrong. I'm just going to hold onto my opinion on
29 this," that this would be the beginning of an
30 investigation and trying to determine where the
31 source is.

32 Q Have you seen this paper, Dr. Kent, from journal
33 of *Aquaculture Research*?

34 DR. KENT: No, I haven't.

35 Q It's by a Dr. Robertsen, and can we scroll on the
36 first line of that abstract:

37
38 Viral diseases are a major problem in
39 Atlantic salmon aquaculture.
40

41 Would you agree with that statement?

42 DR. KENT: Particularly in -- now, this is particularly
43 in Norway it's a big problem, and Scotland, with
44 ISA, that example. We see the viruses that they
45 talked about here, ISA and pancreas disease.
46 These aren't big problems in B.C. aquaculture, but
47 in general these are a problem. Yeah, sure, viral

1 diseases are in aquaculture on Atlantic salmon on
2 a global basis, viral disease are very important.

3 Q Even in B.C., combating viral diseases is a
4 constant struggle for the fish farms, isn't it?

5 DR. KENT: That would be particularly with IHN, would
6 be one that they would be constantly on the
7 lookout for, and when it occurred would cause
8 severe disease.

9 Q Can we highlight the first sentence under
10 "Introduction":

11
12 Farming fish in dense populations in the open
13 sea inevitably leads to outbreaks of
14 infectious diseases.

15
16 That would be a fair statement, isn't it?
17 DR. KENT: I assume that they're referring to in the
18 net pens.

19 Q Yes.

20 DR. KENT: Okay. Yes.

21 Q And five or six lines further down you'll see at
22 the end of, at the right-hand side:

23
24 Without vaccines, Atlantic salmon farming
25 would have been impossible due to bacterial
26 diseases such as vibriosis, cold water
27 vibriosis and furunculosis.

28
29 Would you agree with that statement?
30 DR. KENT: I think it's a bit -- in most part I would
31 agree with it. I wouldn't say it's impossible. I
32 would say it would be severely hampered. They
33 would have to rely on antibiotics for those three
34 bacterial diseases, but obviously vaccines have
35 played a huge role in making Atlantic salmon
36 farming economically viable.

37 MR. McDADE: Can we have that paper marked as an
38 exhibit, please.

39 MR. McDADE: Exhibit 1483.

40
41 EXHIBIT 1483: Robertsen, Can we get the
42 upper hand on viral diseases in aquaculture
43 of Atlantic salmon? Aquaculture Research,
44 2011

45
46 MR. McDADE:

47 Q Can we have Aqua 12 up. This is a paper by Dr.

1 Mennerat, Evolutionary Implications for Parasites
2 and Pathogens, Intensive Farming. Have you seen
3 that paper?

4 DR. KENT: No, I haven't.

5 Q That's in the *Journal of Evolutionary Biology*.
6 You'll see, if we could highlight the second
7 sentence of the abstract:

8
9 New parasites (including pathogens) keep
10 emerging and parasites which previously were
11 considered to be 'under control' are re-
12 emerging, sometimes in highly virulent forms.

13
14 Do you agree with that statement?

15 DR. KENT: Well, I'm not quite sure what they mean by
16 "new parasites": newly recognized, newly
17 described parasites? They're not going to be new,
18 they're not going to -- I doubt they actually, the
19 species evolved in the net pens, but let's try to
20 assume what they mean by here is "newly recognized
21 pathogens keep emerging". If I change the
22 sentence and said:

23
24 Newly recognized parasites (including
25 pathogens) keep emerging and parasites...

26
27 Yeah, continuing on with the sentence, I would
28 agree with that statement with that slight
29 modification.

30 Q And you could go down another sentence or so:

31
32 Intensive farming creates conditions for
33 parasite growth and transmission drastically
34 different from what parasites experience in
35 wild host populations and may therefore alter
36 selection on various traits, such as life-
37 history traits and virulence.

38
39 Do you agree with that?

40 DR. KENT: I would agree that the first part of the
41 statement for sure. I'd like to see a little bit
42 more evidence on some empirical evidence on
43 selection for various traits, such as life history
44 traits and virulence. I haven't read this paper,
45 and perhaps in this paper they go on to present
46 empirical evidence. And after I read the paper, I
47 might be willing to agree with the second

1 statement. But I'd certainly agree with the first
2 statement.

3 Q Well, if we could just go over to the next column
4 at the same location. I think if you'll see five
5 lines from the top there, that's exactly what
6 they're saying here, is they:

7
8 ...present evidence that supports the idea
9 that intensive farming conditions increase
10 parasite virulence.

11
12 That's the purpose of this paper, I think.

13 DR. KENT: And I assume the parasite was sea lice, is
14 that their model parasite here? I just -- I would
15 like to -- I'm sorry if I sound recalcitrant to
16 agree with their conclusion, but I haven't
17 reviewed their methods or results, so I can't just
18 offhand agree with their conclusions without
19 reviewing the paper.

20 Q All right. Could we have --

21 DR. KENT: And maybe Dr. Johnson, he's the sea lice
22 expert, perhaps he's read this paper and can
23 expand on this.

24 Q Have you read this paper, Dr. Johnson?

25 DR. JOHNSON: No, I haven't.

26 MR. McDADE: All right. Let's just mark this. In the
27 interests of time, I have to move on, Doctor.

28 THE REGISTRAR: Exhibit 1484.

29
30 EXHIBIT 1484: Mennerat et al, Intensive
31 Farming: Evolutionary Implications for
32 Parasites and Pathogens, Journal of
33 Evolutionary Biology, July 29, 2010

34
35 MR. McDADE:

36 Q Can I have Aqua 20 up on the screen. "Factors
37 Involved in the Dissemination of Disease in Fish
38 Populations" by Dr. Reno. Have you read that
39 paper?

40 DR. KENT: I haven't read this -- I think I did
41 actually read this paper, but it's been a number
42 of years. I know Dr. Reno. He was at Oregon
43 State University, and I'm familiar with some of
44 the work that they've done on modelling. I'm
45 familiar in some generalities in the idea of
46 modelling transmission of furunculosis in a
47 confined system. So I'm somewhat -- this paper is

1 not totally new to me, it's probably been years
2 since I've read it.

3 Q So the point of that paper, you'll see in the
4 first four lines is that generally microbial
5 pathogens have established an overall equilibrium
6 with wild hosts in the wild, but if we can go down
7 ten lines or so, there, just six or seven lines up
8 from that, where your mouse is:
9

10 The artificial rearing of [fish] has led to
11 the exacerbation of diseases that previously
12 existed in wild populations.
13

14 That's an accurate statement, too.

15 DR. KENT: That's correct.

16 Q You didn't cite this paper in your literature
17 review.

18 DR. KENT: I don't think I did.

19 MR. McDADE: Could we have that marked as an exhibit.

20 THE REGISTRAR: Exhibit 1485.
21

22 EXHIBIT 1485: Reno, Factors Involved in the
23 Dissemination of Disease in Fish Populations,
24 Journal of Aquatic Animal Health, 1988
25

26 MR. McDADE:

27 Q In fact, you didn't mark, you didn't cite any of
28 these previous papers in your literature review.

29 DR. KENT: Yes, that's because they deal with diseases
30 in captive fishes, and we're concerned with the
31 impacts of disease in a wild population.

32 Q Can we have Aqua 24 up on the screen. This is a
33 paper by Dr. Walker and Dr. Winton. You know Dr.
34 Winton, I think.

35 DR. KENT: Yes, I do.

36 Q And did you cite this paper?

37 DR. KENT: No, I didn't cite this. I'm familiar with
38 this review, though.

39 Q And if I can highlight the middle part of that
40 abstract:
41

42 ...the rapid growth of aquaculture has...been
43 the source of anthropogenic change on a
44 massive scale.
45

46 Do you see that, right where the mouse is.

47 DR. KENT: Okay, I see that statement.

1 Q And if we could go four lines further down:

2
3 Not surprisingly, the consequence has been
4 the emergence and spread of an increasing
5 array of new diseases.
6

7 Do you agree with that statement?

8 DR. KENT: In the context within aquaculture, I
9 certainly would agree with that. I don't know
10 what their context is, "the emergence and spread",
11 if they're referring to spread from farm fish to
12 wild fish. They say that:

13
14 Not surprisingly, the consequence has been
15 the emergence and spread of an increasing
16 array of new diseases.
17

18 Well, certainly the emergence of new diseases.
19 The spread, I'm not quite sure if I would agree
20 with that, that comment, but certainly with the
21 emergence part of it.

22 MR. McDADE: Can we have that marked as an exhibit,
23 please.

24 THE REGISTRAR: Exhibit 1486.

25
26 EXHIBIT 1486: Walker and Winton, Emerging
27 viral diseases of fish and shrimp, INRA, EDP
28 Sciences, 2010
29

30 MR. McDADE:

31 Q And again you didn't cite that document because
32 you weren't concerned with fish farms in your
33 report.

34 DR. KENT: Yeah, and I gave my statement right after
35 the break on why I was not addressing --
36 specifically addressing fish farms in my report.

37 Q Can we have Aqua 14 up on the screen. Are you
38 familiar with this study by Ford and Myers?

39 DR. KENT: No. No, I'm not.

40 Q This is a study out of the Department of Biology
41 at Dalhousie in Halifax, which examines the
42 relationship of fish farms throughout the world
43 and disease. And if you're reading the abstract,
44 can I suggest to you, Dr. Kent, that it is the
45 fact that wherever you have aquaculture fish
46 farms, you have found impacts on the wild fish
47 populations.

1 DR. KENT: I'm not going to deny that, but also you
2 should be aware that spatial and temporal co-
3 occurrence does not mean cause and effect.
4 Q Right. But the reason why you can't often prove
5 cause is because no one's studying the disease in
6 the wild population.
7 DR. KENT: I agree with you on that. That's one of the
8 few statements you've made that I totally agree
9 with you on.

10 MR. McDADE: Well, we're getting somewhere then,
11 Doctor, thank you. Can we have this marked as an
12 exhibit.

13 THE REGISTRAR: Exhibit 1487.

14
15 EXHIBIT 1487: Ford and Myers, A Global
16 Assessment of Salmon Aquaculture Impacts on
17 Wild Salmonids, Department of Biology,
18 Dalhousie University
19

20 MR. McDADE:

21 Q Doctor, let me switch gears and go to some of your
22 early research in the '90s on plasmacytoid
23 leukemia. Can we have Aqua 3 on the -- up on the
24 screen. Sorry, Aqua 3, I think. That's not the
25 document I'm looking for.

26 MR. LUNN: Do you have a title I might...

27 MR. McDADE: Experimental Transmission of a
28 Plasmacytoid Leukemia, Kent, 1990.

29 MR. LUNN: Yes.

30 MR. McDADE: Oh, I'm sorry. I've got the wrong cover
31 page. Can we go to the next page. Yes. That's
32 the document I'm looking for.

33 Q You were the author of this document?

34 DR. KENT: Yeah, that's right.

35 MR. McDADE: Can we mark that as an exhibit, please.

36 THE REGISTRAR: Exhibit 1488.

37
38 EXHIBIT 1488: Kent and Dawe, Experimental
39 Transmission of a Plasmacytoid Leukemia of
40 Chinook Salmon, *Oncorhynchus tshawytscha*,
41 Journal of Cancer Research, September 1, 1990
42

43 MR. McDADE:

44 Q That was published in the *Journal of Cancer*
45 *Research*, was it?

46 DR. KENT: Yes.

47 Q If we could scroll down to the "Introduction", to

1 the second paragraph. Now, you said there in 1990
2 that:

3
4 An apparently new disease of pen-reared
5 salmon, referred to as "marine anemia"...has
6 recently caused severe losses in chinook
7 salmon reared at several sites in British
8 Columbia.
9

10 So let me make a couple of points. The first
11 point was there was an outbreak, a severe outbreak
12 of marine anaemia back in the 1988 to 1991 time
13 period.

14 DR. KENT: That's correct.

15 Q And as a result of that, you were studying that
16 disease?

17 DR. KENT: That's correct.

18 Q Because of the economic impacts on the fish farm
19 industry.

20 DR. KENT: That would be one of the reasons. Our
21 mandate was it would be to investigate diseases
22 and of course it's -- yeah, there's -- I would say
23 not as much the economic, because the high losses
24 in fish in general, we, as a group of -- in the
25 Fish Health Section would be interested in causes
26 of disease regardless of their economic impacts or
27 not. But that's just splitting hairs there, yeah,
28 more or less. It became a disease entity of
29 significant interest brought to our attention that
30 we investigated the cause of it.

31 Q And that had not been previously seen in any wild
32 salmon?

33 DR. KENT: We eventually found lesions consistent with
34 it in wild salmon, very consistent with it. But
35 we first detected it in net pen farms.

36 Q It was a number of years later after it had been
37 an outbreak in the fish farms for a number of
38 years that you found those in wild salmon, isn't
39 it?

40 DR. KENT: Actually a disease histopathologically
41 indistinguishable from this was first reported in
42 Washington State, by Dr. Yasutaki, and I think I
43 cite that, that I would --

44 Q In fish farms.

45 DR. KENT: In hatcheries.

46 Q In hatcheries, all right. So but in --

47 DR. KENT: I believe in hatcheries. I'm pretty sure it

1 would be hatcheries, not in wild fish.
2 Q But in British Columbia it had never been reported
3 in wild fish.
4 DR. KENT: That's correct.
5 Q And it wasn't for at least two or three years.
6 DR. KENT: I'm not going to disagree with you on the
7 timeframe there. When we eventually did a survey
8 and were able to detect the condition in wild --
9 in wild salmon.
10 Q Okay. And I understand that:
11
12 The disease was first recognized in the fall
13 of 1998...
14
15 It says that in the next line.
16 DR. KENT: Okay.
17 Q That's right?
18 DR. KENT: Yeah, I wouldn't disagree with that.
19 Q And it was found in market-size fish, the large
20 grown fish.
21 DR. KENT: That's correct.
22 Q And they were dying.
23 DR. KENT: Yes.
24 Q And they had -- they had death, mortality rates of
25 the 50 to 80 percent range.
26 DR. KENT: Yes.
27 Q And this term, plasmacytoid leukemia, this is --
28 this was invented by you and -- or this was
29 (indiscernible - overlapping speakers).
30 DR. KENT: You can say "invented", that's fine. Yeah,
31 yeah, that was the name we gave it.
32 Q That was used by you and --
33 DR. KENT: And my colleagues, yeah.
34 Q -- in this paper. If we could have Aqua 4 up on
35 the screen. I marked that as an exhibit, did I
36 not?
37 MR. LUNN: It was 1488.
38 MR. McDADE: Yes. Can we mark...
39 Q This was also a paper with you, Dr. Kent?
40 DR. KENT: Yeah, sure.
41 MR. McDADE: And can we mark that as an exhibit.
42 THE REGISTRAR: Exhibit number 1489.
43
44 EXHIBIT 1489: Newbound and Kent,
45 Experimental interspecies transmission of
46 plasmacytoid leukemia in salmonid fishes,
47 Diseases of Aquatic Organisms, May 9, 1991

1 MR. McDADE:

2 Q And this leukemia was a form of cancer; is that
3 right?

4 DR. KENT: Yes.

5 Q So your identification at this time was that you
6 found a form of fish cancer, but it was
7 infectious.

8 DR. KENT: That's right. There were a number of --
9 most leukemias in the veterinary world -- a large
10 number of leukemias and lymphomas, et cetera, are
11 caused by infectious agents, particularly
12 oncogenic viruses.

13 Q And this was -- you did a couple of experiments
14 with -- at this time, and both the papers we've
15 looked at were descriptions of those experiments.

16 DR. KENT: That's correct.

17 Q And what you found, if we could turn to page 162
18 of that paper. You describe carefully in this
19 paper the kinds of tumours that were part of this
20 disease?

21 DR. KENT: Yes, I carefully -- yeah, we described the
22 lesions that would be occurring in the fish, in
23 (indiscernible - overlapping speakers).

24 Q And under the "Discussion" section what you found
25 in this laboratory -- this was a laboratory study.

26 DR. KENT: That's correct.

27 Q Is that all of the chinook that you infected with
28 this disease and 18 of 25 sockeye experienced this
29 leukemia when you transmitted it to them, right?

30 DR. KENT: Well, as seen here is:

31
32 All of the chinook and 18/25...exhibited
33 unequivocal gross and histopathological
34 changes...

35
36 Yeah, that's correct. Yeah, so we did
37 experimentally transmit the disease to sockeye
38 salmon in the laboratory.

39 Q And in fact you found that sockeye salmon were
40 susceptible.

41 DR. KENT: Yes, in this -- in this situation. We did
42 not go on to do cohabitation experiments, but by
43 injection of tissue homogenates, we were able to
44 induce the condition in a large number of fish.
45 So they were quite susceptible in this -- in this
46 scenario, yes.

47 Q And if we go to page 165, if you could go --

1 scroll down just a bit, a little further, in the
2 paragraph:
3

4 Only 2 of 22 exposed Atlantic salmon
5 developed [the leukemia], indicating that
6 they are more resistant...
7

8 DR. KENT: That's correct.

9 Q They weren't immune, they were more resistant.

10 DR. KENT: That's right.

11 Q And this was a laboratory experiment involving 25
12 fish.

13 DR. KENT: That's correct.

14 Q If you put a million salmon in the middle of a net
15 pen, you're going to have a lot more pathogen
16 floating around, aren't you?

17 DR. KENT: Pathogens in general, yeah.

18 Q And if you have many millions of sockeye smolts
19 swim back -- swim past, you're going to get a lot
20 higher risk of the exchange of pathogens, aren't
21 you?

22 DR. KENT: If you're talking about millions of -- let
23 me just clarify your scenario that you're trying
24 to set up here, is that you have a net pen with
25 millions of Atlantic salmon and sockeye salmon are
26 swimming by them, versus water with no other
27 salmonids, would there be increased potential for
28 transmission -- occurrence of pathogens, in the
29 fish swimming by the net pens versus just open
30 water? I would say yes.

31 Q Can I have Aqua 2 up on the screen. And this is
32 another paper written by you, along with Dr.
33 Eaton?

34 DR. KENT: That's correct.

35 Q And this is the paper in which you -- if we could
36 go to page -- I think it's 6498, three pages in,
37 in which you use the term salmon leukemia virus.

38 DR. KENT: That's right. Dr. Eaton came up -- and I
39 was co-author on the paper. So we have a disease
40 called plasmacytoid leukemia and this is where we
41 have the strongest evidence of a virus being
42 associated with it, and we named the virus salmon
43 leukemia virus.

44 MR. McDADE: And can we have that paper marked as an
45 exhibit.

46 THE REGISTRAR: Exhibit 1490.
47

59
PANEL NO. 55
Cross-exam by Mr. McDade (AQUA)

1 EXHIBIT 1490: Eaton and Kent, A Retrovirus
2 in Chinook Salmon (*Oncorhynchus tshawytscha*)
3 with Plasmacytoid Leukemia and Evidence for
4 the Etiology of the Disease, Journal of
5 Cancer Research, December 1, 1992
6

7 THE COMMISSIONER: Would this be a good place for the
8 break, Mr. McDade?

9 MR. McDADE: Yes, thank you.

10 THE COMMISSIONER: Thank you.

11 THE REGISTRAR: The hearing is now adjourned until 2:00
12 p.m.
13

14 (PROCEEDINGS ADJOURNED FOR NOON RECESS)
15 (PROCEEDINGS RECONVENED)
16

17 THE REGISTRAR: Order. The hearing is now resumed.
18

19 CROSS-EXAMINATION BY MR. McDADE, continuing:
20

21 Q Dr. Stephen, let me turn to you and a couple
22 papers you wrote in the nineties on the marine
23 anemia. Could I have Aqua 1 up on the screen.
24 That paper, called Descriptive epidemiology of
25 marine anemia that you wrote?

26 DR. STEPHEN: Yes, that's my paper.

27 MR. McDADE: Okay. Could I have that marked as an
28 exhibit please.

29 THE REGISTRAR: Exhibit 1491.
30

31 EXHIBIT 1491: Descriptive epidemiology of
32 marine anemia in seapen-reared salmon in
33 southern British Columbia, by Craig Stephen,
34 Carl Ribble and Michael Kent
35

36 MR. McDADE: And can I have Aqua 23 up on the screen.
37 That's a paper called The effects of changing
38 demographics on the distribution of marine anemia
39 that you wrote in 1995?

40 DR. STEPHEN: That's right.

41 MR. McDADE: Could I have that marked as an exhibit.

42 THE REGISTRAR: Exhibit 1492.
43

44 EXHIBIT 1492: The effects of changing
45 demographics on the distribution of marine
46 anemia in farmed salmon in British Columbia,
47 by Craig Stephen and Carl Ribble

August 23, 2011

1 MR. McDADE:

2 Q Now, looking at that paper, if we could go to the
3 third page, page 559, could we look at the table
4 at the top. Your purpose in doing this paper, Dr.
5 Stephen, was to show how the identification of
6 marine anemia moved over time as the sea farm --
7 as the fish farm industry was moving?

8 DR. STEPHEN: We were trying to just -- we were trying
9 to look at the geographic -- look at the
10 geographic spread and describe the pattern, yes.

11 Q And so this table shows how, from 1988 through
12 '92, it moved from south coast to central coast to
13 west coast to northwest coast, as the industry
14 moved?

15 DR. STEPHEN: Yes, so what this table is showing us, is
16 that as there was farms in a new area you would
17 have an increased amount of submissions to the
18 laboratory, and with an increased amount of
19 submissions to the laboratory, you were more
20 likely to have the area declared positive for the
21 disease.

22 Q If I could go to the next page, page 560, scroll
23 down the first column to the second-last
24 paragraph. The other thing I believe that both
25 these studies of yours, Dr. Stephen, showed is
26 that when you relied upon the farms to tell you
27 whether marine anemia was present, you got an
28 incomplete answer?

29 DR. STEPHEN: I think that would be a
30 mischaracterization of it. I think what we did is
31 when you went out actively looking for the disease
32 and sampled intensively, we could find it very
33 regularly.

34 Q I see there, that's correct. You sent out a
35 questionnaire to the farms, asking if they had the
36 disease, and most answered that they didn't?

37 DR. STEPHEN: They hadn't diagnosed it yet, that's
38 correct.

39 Q Right. But then, when you went out and
40 exhaustively sampled, you found it?

41 DR. STEPHEN: We were able to find it, yes.

42 Q So in some cases the disease was diagnosed on the
43 first visit to the farm, whereas others required
44 bi-weekly visits for three months before a case of
45 marine anemia was identified?

46 DR. STEPHEN: Right. So I would try to regularly go
47 out to the farm, sample the moribund fish, as well

61
PANEL NO. 55
Cross-exam by Mr. McDade (AQUA)

1 as the dead fish in the pens, and submit them for
2 a histopathology to help with the diagnosis.
3 Q And if we could go to the previous paper, yes.
4 And go to the third page of that, page 422, lower
5 down on the second column. So this is referring,
6 more or less, to the same phenomena:
7

8 Prior to the project, marine anemia had not
9 been diagnosed on 15 of the 23 farms we
10 visited.
11

12 DR. STEPHEN: I'd have to recheck those numbers, but
13 yes, there it is, that's correct, yes.

14 Q And:

15
16 We later found cases of marine anemia in all
17 but 1 of the 23 farms.
18

19 DR. STEPHEN: Yes. Anywhere we could find a farm that
20 had chronic -- other chronic inflammatory
21 diseases, we could find one or more case of this
22 disease.

23 Q And it says, "On average," a couple of lines down:

24
25 On average, 2 visits per site were required
26 before the disease was diagnosed.
27

28 DR. STEPHEN: Correct.

29 Q Dr. Kent, one more paper to ask you about, and
30 that is at Aqua 5. Did I mark that before the
31 break?

32 THE REGISTRAR: No, it has not been marked.

33 MR. McDADE:

34 Q This is another paper of yours and Dr. Eaton's?

35 DR. KENT: Yes.

36 MR. McDADE: Can we mark that as an exhibit, then.

37 THE REGISTRAR: 1493.
38

39 EXHIBIT 1493: Diseases of Aquatic Organisms,
40 Biochemical and histologic evidence of
41 plasmacytoid leukemia and salmon leukemia
42 virus (SLV) in wild-caught Chinook salmon
43 *Oncorhynchus tshawytscha* from British
44 Columbia expressing plasmacytoid leukemia, by
45 W.D. Eaton, B. Folkins and M.L. Kent
46

47 MR. McDADE:

August 23, 2011

1 Q Now, this was a study, as I understand it, that
2 you and Dr. Eaton and Dr. Folkins did to look at
3 -- to look outside the box.

4 DR. KENT: Look outside the box, you mean looking at
5 wild fish, correct?

6 Q Right. If we could go to the bottom of the second
7 column on that first page. I suggest this purely
8 describes what you're trying to do. We look three
9 lines from the bottom:

10
11 This raises questions of some concern as to
12 whether SLV is present in wild or wild-caught
13 populations of Chinook salmon, whether it
14 causes disease in them, and could any
15 interaction between such fish and those in
16 hatcheries or net pens contribute to an
17 increase in PL.

18
19 Right? That's what you were trying to do here?
20 DR. KENT: I'm third author on this. I would agree
21 that this was the idea of documenting the
22 occurrence of this. I don't think we're going to
23 -- this paper inferred any actual -- these types
24 of interactions between farm and wild fish caught
25 are of great interest, yeah. So, I mean, this is
26 the idea, as I've said earlier, when we see a
27 disease in the -- for the first time or first time
28 a disease is described, I think it's very
29 important to look for that disease in the wild
30 fish as soon as possible. This will provide
31 valuable information to start looking at the
32 possible interactions between wild and farm fish,
33 that's correct.

34 Q And that's found, if I can scroll down the column
35 to the next -- a couple paragraphs down, just
36 above the picture, seven of the -- I think you
37 found seven of the 118 Chinooks you collected were
38 mildly positive?

39 DR. KENT: That's correct. That's what I wrote in the
40 paper. That's what we have there, yes.

41 Q They included it, if you go to the top of the next
42 column, they had mild interstitial hyperplasia.
43 And from this -- this paper didn't conclude either
44 way, I suggest to you, that the plasmacytoid
45 leukemia came from the fish farms or came from the
46 wild?

47 DR. KENT: That's right.

1 Q If you could go over the page, if I might, to the
2 -- sorry -- yes, to the bottom of page 149, second
3 column:

4
5 The origin of SLV is unknown and will likely
6 be difficult to ascertain. However, it is
7 possible that PL and SLV may have been
8 present in both wild and cultured fish for
9 years, but have been misdiagnosed...

10
11 And if we go over the page, down to the bottom of
12 the first column, please:

13
14 The presence of SLV in wild-caught fish is
15 important...but does not answer the question
16 of the origin...

17
18 You agree with that?

19 DR. KENT: Yes.

20 Q And at the top of the next column, to continue on,
21 it's possible that the positive fish were escapees
22 from the net pens, or it's possible that if
23 horizontal transmission of SLV and PL has
24 occurred, or it's possible that - further down in
25 the next paragraph - it's possible that it's
26 vertically transmitted. These were all just
27 possibilities that you --

28 DR. KENT: Yeah, that's right.

29 Q -- expressed?

30 DR. KENT: As we read at the top, possible from the --
31 the origin of these fish captured in the wild,
32 they could have originated from government
33 hatcheries, they could have been escapees from net
34 pens, or they could be what we mean as truly wild
35 fish, fish that were actually originated from wild
36 spawns and basically spent their whole life in the
37 wild. So those are three possibilities that we
38 put forward.

39 Q And so you found a very mild amount of disease in
40 the Chinook that you -- what happened when you
41 replicated that study on sockeye?

42 DR. KENT: We injected sockeye salmon -- if I recall,
43 are you --

44 Q Sorry, if I could just ask my question more
45 clearly, perhaps.

46 DR. KENT: Sure.

47 Q Did you go and do a study on how many sockeye were

1 infected back in 1994?

2 DR. KENT: Not in 1994, we did not. In 1998, in our
3 overall survey of diseases in salmon, included a
4 number of sockeye. We did not see any regions
5 consistent with plasmacytoid leukemia in the
6 sockeye salmon that we examined in that particular
7 study. That would be the Kent, et al, 1998, I
8 think, that was already entered in evidence.

9 So at this time we did not -- for this
10 particular study we did not have a number of
11 sockeye salmon that were negative or positive. We
12 were just looking at Chinook in this study.

13 Q Right. So as I understood it, there's a disease
14 that's killing salmon in 1988. You do a study in
15 1990 that calls it plasmacytoid leukemia. Your
16 survey in 1991 finds that sockeye are highly
17 susceptible to it. And you look at Chinook in
18 1994. You don't look at sockeye until 1998. Can
19 you explain to me why you didn't do anything about
20 this disease in relation to the wild sockeye for
21 10 years?

22 DR. KENT: It wasn't 10 years, but the reason why is we
23 recognized this as a disease of Chinook salmon, so
24 it was a disease of Chinook salmon. So if we're
25 going to look at fish in the wild, the first fish
26 we would look at would be Chinook salmon. We
27 didn't look at chum salmon or coho salmon or
28 sockeye salmon in this particular study.

29 The study in 1998 was not directed on,
30 because there was severe disease problems, at any
31 particular wild stock of salmon; it was a general
32 survey along the lines of what I was promoting
33 that really should be done is just general
34 baseline information that we would have. So the
35 study that we published in 1998 actually
36 represented data that was not just collected in
37 1997 or 1998, but represented probably at least a
38 half a dozen years of data that we, myself and my
39 coauthors, compiled and tabulized and put into
40 table form and basically reported as one document,
41 which included some other survey work that we did
42 opportunistically with collecting wild salmon from
43 the ocean.

44 Q Dr. Kent, you didn't look, as we understand it,
45 we've heard other evidence, that in the early
46 nineties sockeye salmon were starting to show
47 abnormal early entry behaviour into the Fraser

1 that was affecting pre-spawn mortality; you've
2 heard about that?
3 DR. KENT: In the early nineties?
4 Q Yes.
5 DR. KENT: Yeah, I've heard about that, of course.
6 Q Did you, at that time, connect those two events in
7 any way?
8 DR. KENT: No.
9 Q Were you, in the marine aquatic health branch,
10 ever consulted about the expansion of the fish
11 farm industry in relation to disease?
12 DR. KENT: Yes.
13 Q Did you discuss this early entry problem and the
14 possibility that salmon leukemia virus was behind
15 it?
16 DR. KENT: No.
17 Q Never occurred to you?
18 DR. KENT: No.
19 Q So today, if DFO finds a new virus that they
20 haven't seen, is there anything different that's
21 happening at DFO that would take less than 10
22 years to discover the impacts on the wild salmon?
23 MR. TAYLOR: I object. This witness isn't there. He's
24 already testified he left in 1999.
25 MR. McDADE: Fine. Fair enough. Let me ask that
26 question of Dr. Johnson.
27 Q Is there anything that would take less than 10
28 years to determine this kind of impact?
29 DR. JOHNSON: Yes. For example, we are conducting
30 challenge trials with a virus which was recently
31 identified in sockeye salmon.
32 Q Yes, but have you done -- did you do anything in
33 terms of getting the fish farms out of the path of
34 the migratory salmon, or did you just do more
35 studies?
36 DR. JOHNSON: I, personally, don't do anything about
37 getting the fish farms out of the migratory path,
38 because that makes the assumption that the fish
39 farms are a significant source of pathogens.
40 Q So DFO wouldn't react until there was scientific
41 proof that connected the fish farms and the
42 pathogens and the harm to the wild sockeye?
43 DR. JOHNSON: I can't answer how senior management
44 would react. It's a question you need to ask of
45 senior managers of DFO.
46 MR. McDADE: All right. Well, perhaps we will. I
47 think that's probably the end of my time.

1 MR. MARTLAND: It is. I have Mr. Leadem, for the
2 Conservation Coalition, at 40 minutes.
3 MR. LEADEM: Leadem, initial T., for the record, Mr.
4 Commissioner, for the Conservation Coalition. I
5 want to begin with Conservation document number
6 36, if I could, Mr. Lunn. And this question will
7 be to you, Dr. Kent.
8

9 CROSS-EXAMINATION BY MR. LEADEM:
10

11 Q You may recognize this.

12 DR. KENT: Yes, I recognize this.

13 Q This is a golden oldie, as I call it. Can you
14 roughly give me a timeframe of when this document
15 was prepared?

16 DR. KENT: I would say roughly about, I would guess,
17 about 1993. This was a result of a Canada/Norway
18 -- a meeting between scientists between Canada and
19 Norway that was held in Norway, and then we -- I
20 prepared this document, which was basically a
21 proceedings of this meeting. I see I have that in
22 press, and I, frankly, would have to search back
23 and see if this document that I wrote as
24 proceedings was ever actually published in that
25 particular journal, but that's where it was
26 destined to be. But yeah, I wrote that paper.

27 Q All right. I'm going to ask you to research back.
28 If you're like most scientists, you may keep
29 records of papers that have been published before,
30 your papers, specifically?

31 DR. KENT: Yes, for the most part.

32 Q All right. We could not find a copy of this.

33 DR. KENT: Okay.

34 Q When I say "we", my clients couldn't find a copy
35 of this. I note that on the front of it, it says,
36 Fisker og Havet, which I assume is a Norwegian
37 journal, and I'm going to ask, through Commission
38 Counsel, that if you do find a copy of it that you
39 produce it to Mr. Martland in due course --

40 DR. KENT: Sure.

41 Q -- and we can perhaps tender it.

42 DR. KENT: Yeah, and I agree with that. I don't
43 recall, you know, this was sent off back to the
44 Norwegians and they were going to -- that when
45 preparing this document they said, "We're going to
46 put this in as a special issue of this particular
47 journal," and as far as I know, it hasn't

1 materialized. But obviously this has been
2 circulated quite a bit.

3 Q We found it.

4 DR. KENT: Oh, okay. So was it published in there?

5 Q We haven't found it published, and that's why I'm
6 asking you.

7 DR. KENT: Oh, okay.

8 Q Essentially, I wanted to take you to the abstract
9 on the next page. And if I can -- I'm just going
10 to quote something that you wrote back then,
11 towards the middle, maybe the third sentence in.
12 You say:

13

14 Diseases of captive fish may pose a threat to
15 wild fish when they are exotic diseases, have
16 the potential to cause an increase in
17 prevalence of an enzootic disease, or if
18 their presence results in the use of drugs
19 that are released into the environment.

20

21 So that's what you wrote back then. Are those
22 still your opinion today?

23 DR. KENT: Yes, they are.

24 MR. LEADEM: Could we have this marked as the next
25 exhibit, please.

26 THE REGISTRAR: 1494.

27

28 EXHIBIT 1494: IN PRESS: Fisken og Havet 13:
29 The Impact of Diseases of Pen-Reared
30 Salmonids on Coastal Marine Environments, by
31 Michael L. Kent

32

33 MR. LEADEM: Now, I want to now turn to Conservation
34 document number 14, when you have the opportunity,
35 Mr. Lunn.

36 MR. LUNN: Thank you.

37 MR. LEADEM:

38 Q And the next questions are going to be primarily
39 to you, Dr. Kent, and to you, Dr. Stephen, and
40 they're going to relate to IHN outbreaks from fish
41 farms, and the first one should be -- that's not
42 what I hoped to find there. I'm looking for a
43 document by Sonja Saksida, and I thought it was
44 Conservation document number 14.

45 UNIDENTIFIED SPEAKER: You have two 14s.

46 MR. LUNN: Neither one seems to be the document.

47 MR. MARTLAND: There's an identical twin number 14

1 document. It's the second of the two, I think.
2 MR. LEADEM: I think that we confused everyone by
3 submitting two lists. There's two 14s, Mr. Lunn.
4 MR. LUNN: Yes, neither 14 is the document that you're
5 referring to by Saksida, though, as far as what I
6 have, I'm sorry.
7 MR. LEADEM: All right.
8 MR. LUNN: The CAN number appears to be correct. I'm
9 not sure.
10 MR. LEADEM: I'm looking for a document by Sonja
11 Saksida, entitled, Infectious haematopoietic
12 necrosis epidemic in farmed Atlantic salmon.
13 THE COMMISSIONER: 35.
14 MR. LEADEM: 35, thank you. It's not the same one.
15 The other one was an actual peer-review journal
16 article, Mr. Commissioner, and I'm not sure why
17 there's some disparity in the numbering. Be that
18 as it may, I'll deal with this unpeer-reviewed
19 article first, because I think that the data, or
20 what I'm driving at might be evident from it.
21 Q Dr. Saksida investigated an epidemic, an epizootic
22 outbreak of IHN in farmed salmon for the years
23 2001 and 2002 and 2003, and both you, Dr. Kent,
24 and you, Dr. Stephen, were aware of this outbreak,
25 were you?
26 DR. STEPHEN: I was aware of some IHN outbreaks, yes.
27 Q Right. And are you familiar with her work and how
28 she saw that there was transmission of the disease
29 from farm to farm and some horizontal transmission
30 of the disease in the water column?
31 DR. STEPHEN: In general terms I can recall some of it,
32 yes.
33 Q Right. And she postulates in, I think, in this
34 paper and perhaps in the journal article that I
35 hope to find for you soon, that essentially, in
36 her opinion, it's very likely, or it may be that
37 the wild sockeye actually transmitted the IHN to
38 the farmed Atlantic salmon; is that correct?
39 DR. STEPHEN: I couldn't tell you for sure if that was
40 Dr. Saksida's hypothesis, but I've heard others
41 have that hypothesis, yes.
42 Q Okay. And those, once again, were for the years
43 2001, 2002, and 2003; is that right?
44 DR. STEPHEN: Again, I can only vaguely remember the
45 report, so I'll assume it's in this document, yes.
46 MR. LEADEM: All right. Could I ask that Conservation
47 document number 15, which hopefully is a report

1 done by a Dr. St-Hilaire. If you've found that
2 one, the one right before it should be Dr.
3 Saksida's.
4 MR. LUNN: I think there just must be a file error, I'm
5 sorry, and without internet I can't --
6 MR. LEADEM: Okay.
7 MR. LUNN: -- get the true file.
8 MR. LEADEM: Okay. All right. Maybe we can get that
9 straightened out at some stage.
10 MR. MARTLAND: Our understanding, just to identify the
11 error, without helping very much, is the ringtail
12 number is what Mr. Lunn brought up. It correlates
13 to what we were given in the exhibit list, but
14 that doesn't -- that's obviously not the right
15 document. We'll work to try to and see if we can
16 find it.
17 MR. LEADEM: All right.
18 THE COMMISSIONER: Is this the one you want, Mr.
19 Leadem?
20 MR. LEADEM:
21 Q Okay, this one, Dr. Stephen and Dr. Kent, perhaps
22 you would be more familiar with, because both of
23 you are listed as authors with respect to an
24 epidemiological investigation of infectious
25 hematopoietic necrosis virus in salt water net-pen
26 reared Atlantic salmon in British Columbia,
27 Canada. And obviously Dr. St-Hilaire was a
28 colleague of yours; is that correct?
29 DR. STEPHEN: She was a graduate student and I was on
30 her graduate committee.
31 DR. KENT: Likewise.
32 Q And so all of you, or both of you would then be
33 familiar with the fact that there was an outbreak
34 of IHN in Atlantic salmon in British Columbia for
35 the years 1992 through 1996; is that correct?
36 DR. KENT: Yes.
37 DR. STEPHEN: That's correct.
38 MR. LEADEM: Might this be marked as the next exhibit,
39 please.
40 THE REGISTRAR: Exhibit 1495.
41
42 EXHIBIT 1495: Epidemiological investigation
43 of infectious hematopoietic necrosis virus in
44 salt water net-pen reared Atlantic salmon in
45 British Columbia, by Craig Stephen, Michael
46 Kent, et al
47

1 MR. LEADEM: And I'm indebted to my learned colleague,
2 Mr. McDade. I think I have a CAN number for the
3 other document, Dr. Saksida's number. I could
4 maybe straighten that out now. That's CAN474758.
5 And I think it's Aqua 22.

6 MR. LUNN: If it's the same document in the Aquaculture
7 list, then I can get it right now. There you go.

8 MR. LEADEM: Okay, that's the one.

9 MR. LUNN: Thank you.

10 MR. LEADEM: All right, that's the journal article that
11 I was endeavouring to show you earlier, IHN 2001-
12 2003 in farmed Atlantic salmon.

13 Q In the abstract, and I'm just going to take you to
14 a passage in the abstract, she says, about two-
15 thirds of the way down:

16
17 Natural waterborne transmission may have
18 played a role in the spread of the virus
19 between farms located in close proximity to
20 each other.

21
22 And then she goes on:

23
24 The data collected from this epidemic are
25 prepared with reports which examined the
26 first reported epidemic in Atlantic salmon in
27 BC (1992-1996).

28
29 And that's the one that both you, Dr. Kent, and
30 you, Dr. Stephen, along with Dr. St-Hilaire, had
31 investigated in BC; is that right?

32 DR. KENT: Right. That's correct.

33 MR. LEADEM: Okay. Might this now be marked as the
34 next exhibit, the Dr. Saksida's peer-reviewed
35 article, please.

36 THE REGISTRAR: Exhibit Number 1496.

37
38 EXHIBIT 1496: Infectious haematopoietic
39 necrosis epidemic (2001 to 2003) in farmed
40 Atlantic salmon *Salmo salar* in British
41 Columbia, by S.M. Saksida
42

43 MR. LEADEM: I now want to take you to Commission -- or
44 Exhibit Number 1456, and if we can look at, I
45 think it's page 3 or page 4 there's a bar graph, a
46 histogram. There it is. Just blow that up.

47 Q You may recollect that some of you were shown this

1 by Mr. Martland yesterday, and these represent IHN
2 prevalence in both the Weaver Creek spawning
3 channel and Nadina River spawning channel. And I
4 noticed, and I did not do any linear regression
5 analysis, so you'll have to forgive me, because
6 I'm not going to suggest that there's a
7 correlation here, but I notice that there's some
8 spiking going on between what we're seeing in the
9 IHN prevalence in the wild stock, if I can suggest
10 that term, in Weaver Creek and Nadina in the years
11 2001 and 2002 and 2003; would you agree with me,
12 gentlemen?

13 DR. KENT: Yes. Without doing a statistical analysis,
14 yeah, I see that there is -- there seems to be, in
15 2000, 2001, 2002, 2003, that time period there
16 seems to be more IHN than later in the decade for
17 sure.

18 Q And Dr. Stephen, you would agree, without doing a
19 statistical regression analysis, that there
20 appears to be some linkage here between what we're
21 seeing in terms of IHN prevalence in the wild
22 stock and the outbreak of a disease in the fish
23 farm; is that correct?

24 DR. STEPHEN: I don't know if I'd use the word
25 "linkage". I think you could say there's a
26 temporal correlation, both events are happening at
27 the same time.

28 Q Right. It would be useful to follow that up to
29 see, in fact, if there were a correlation going on
30 here; is that correct? Wouldn't that be of some
31 interest to some scientists, to you
32 epidemiological types?

33 DR. STEPHEN: Well, there's many phenomenon that are
34 interesting to us, and the challenges are
35 resources to look into it.

36 Q Right, right. We're not really sure, are we, Dr.
37 Stephen, I'll turn to you, first, whether or not
38 the disease is coming from the wild stock to the
39 pens, or whether the disease is coming from the
40 pens to the wild stock? We can't say with any
41 degree of absolute certainty which one is which?

42 DR. STEPHEN: What I'll just do is quickly preface that
43 with saying that in preparation for this I focused
44 on the hatchery situation the government had
45 recently reviewed the most current information for
46 salmon farms. So just to preface that.

47 Q Yes.

1 DR. STEPHEN: Okay. So could you repeat your question
2 again, then?

3 Q Well, what I'm interested in knowing is whether
4 there's any degree of scientific certainty about
5 whether or not the horizontal transmission from
6 wild stock is from the wild stock to the pen fish
7 or from the pen fish to the wild stock, or whether
8 there's some going and to-ing and fro-ing between
9 them.

10 DR. STEPHEN: You're asking the question of
11 directionality of transmission?

12 Q Correct.

13 DR. STEPHEN: I can answer that by saying when we did
14 our review for our technical report here we
15 couldn't find convincing evidence of
16 directionality that was definitive, to some
17 degree, to a lack of both historical studies and a
18 lack of molecular methods used to see if it's the
19 same pathogen, so to speak, as well as the fact
20 that the methodologies tended to be a cross
21 section in times. It was hard to temporally
22 relate exposure versus outcome. So the timing
23 issue is hard. So I was unable to find literature
24 that could really convincingly show me
25 directionality. There are some case studies that
26 are suggestive, because of detection in one sector
27 before another, but I couldn't say that's a
28 definitive outcome.

29 Q All right. So would you agree with me that
30 there's some uncertainty in the science around how
31 these diseases are being transmitted, whether
32 there's some horizontal transmission or not?

33 DR. STEPHEN: There's always reasonable uncertainty,
34 and I think as I said in my document, a hatchery's
35 understanding that exposure scenario is, I think,
36 a critical gap in our understanding.

37 Q Right. Dr. Kent, do you have anything to add to
38 that?

39 DR. KENT: I could add a little on that. I think that
40 -- let's kind of start about what we know of where
41 I feel there's more certain evidence. The story
42 with IHN and the net pens, in my opinion, the most
43 certain data are that the Atlantic salmon are
44 becoming -- have become infected by a marine
45 reservoir. That's about the only thing certain.
46 And then the next thing, so it's coming in -- this
47 is one plausible scenario is that marine fish are

1 carrying the virus. Another part of Dr. St-
2 Hilaire's work show that Chinook salmon can carry
3 the virus in the marine phase in asymptomatic
4 condition jumps over into the fish farms and then
5 we have an outbreak in the farm.

6 So one possible explanation, I'm not saying
7 I'm promoting this as fact, but one hypothesis
8 would be the reason why we're seeing a lot -- this
9 temporal co-occurrence of lots of IHN in Nadina
10 and Weaver Creek and the net-pen farms all at the
11 same time is there was a lot of IHN in the marine
12 environment --

13 Q Right.

14 DR. KENT: -- in that time period. That's --

15 Q And so there could have been some horizontal
16 transmission back and forth between the wild fish
17 and the Atlantic salmon in the pens?

18 DR. KENT: I think that that's probably how they became
19 infected. The other scenario, from the pen-reared
20 fish to the wild fish, that's a little bit more of
21 an unknown area.

22 Q So in the absence of really being able to narrow
23 this down, wouldn't -- if you're going to adopt a
24 precautionary approach to this, wouldn't it be of
25 some benefit, both to the farms, to remove their
26 farms from the migratory pathway of sockeye, which
27 may be carriers of this disease, and at the same
28 time help the wild stock, which are coming by the
29 farms, wouldn't - and Dr. Stephen, I'm going to
30 come to you, because you approach it from a
31 prevention aspect - wouldn't that be good
32 prevention science to actually remove the
33 possibility of horizontal transmission by taking
34 the pens away from migratory pathways?

35 DR. STEPHEN: I think that to answer that question of
36 siting of salmon farms based -- or of other
37 activities based solely on one pathogen would
38 make, I think, challenging public policy. I think
39 as a generality, one of our goals of any disease
40 prevention is we heard about bio-security at the
41 hatcheries, is to try to avoid exposure to your
42 pathogen, or to try to ensure that the fish are
43 robust enough to deal with the exposure and
44 challenge.

45 Q Yes. And I understand that you don't want to
46 delve into public policy, but from a scientific
47 aspect, I mean, if you, as an epidemiologist, are

1 simply advising a fish farm how to prevent the IHN
2 transmission from wild stock to fish farms,
3 wouldn't it -- it seems to make sense to me to
4 remove that fish farm from migratory pathways of
5 sockeye salmon.

6 DR. STEPHEN: Well, I think, for me, if I was to give
7 advice to any population, I'd be looking at the
8 more comprehensive approach than simply removal.
9 I mean, you have to think of -- I guess my
10 approach as a veterinarian has been to try to help
11 people in the situation that they were in.

12 Q Yes.

13 DR. STEPHEN: And again, as you pointed to, for a
14 precautionary perspective, if you were going to
15 have that activity in the area, we've often
16 focused on trying to build, as I say, those robust
17 systems and bio-security in place.

18 Q Okay. I'm going to turn to a different topic now,
19 and if I could have a look at your report, Dr.
20 Kent, I believe it's Exhibit 1449. I think at
21 page 9 -- on page 9 you deal with BKD, and I think
22 you make the comment within the confines at the
23 top of the page that there's rare occurrence of
24 BKD in farms.

25 DR. KENT: In Atlantic salmon farms.

26 Q In Atlantic salmon farms.

27 DR. KENT: In Atlantic salmon farms it would be rare.
28 Chinook salmon farms would be very common.

29 Q Okay. And I realize that you may not have had
30 such access to the data that we've had recently by
31 virtue of having obtained the data from sources,
32 but I'm going to show you one dataset and ask you
33 if you've had a look at it and if you saw it in
34 preparing your report. If I could call up
35 Conservation document number 10. And if you get
36 to it, Mr. Lunn, I'd like the Excel spreadsheet.
37 And if you go down to the, I think there's two
38 tabs, if you go down to Tab 2, I think it's the
39 one that I'm looking for.

40 Now, I'm looking for the column for
41 *renibacterium salmoninarum*. I think it's about
42 the fourth line over. I'm having a hard time
43 reading that, Mr. Lunn, sorry. It's actually
44 under "F". That's it. And if you look at, for
45 example, line 37, there's a way that you could
46 actually search for *renibacterium salmoninarum*, I
47 believe.

1 MR. LUNN: Do you want to search throughout the
2 document?
3 MR. LEADEM: Sure. And I think it will then segregate
4 everything with respect to *renibacterium*.
5 Q And just while we're doing that, *renibacterium*
6 *salmoninarum* is the actual name of the disease, or
7 the pathogen.
8 DR. KENT: Yes, the pathogen that causes bacterial
9 kidney disease.
10 Q All right. Obviously, if we look at down -- just
11 scroll down to line 40, there's another incidence
12 of *renibacterium salmoninarum*. Line 45. Line 47.
13 Line 67. Line 98. I won't take you through the
14 entire document, but obviously this type of
15 information would have been of some benefit to
16 you, Dr. Kent, in preparing your report in order
17 to determine the incidents of BKD disease
18 emanating, or incidents of that from fish farms;
19 is that not correct?
20 DR. KENT: Yes, this is useful information. One thing
21 that would be very useful, and I don't see it
22 here, it might be on this Excel sheet, is to look
23 at the species of fish that's infected and the
24 number, a little bit more information about that,
25 that would be important as far as, you know, the
26 prevalence of the infection and the host species
27 that was infected. Is that on this document?
28 Q Well, I'm advised these are all Atlantic salmon --
29 DR. KENT: Oh, okay.
30 Q -- by virtue of the research that my clients did.
31 So that might be a better benefit to you as well.
32 DR. KENT: From my experience, I mean, I'm not saying
33 that *renibacterium salmoninarum*, BKD, does not
34 occasionally occur in Atlantic salmon. I would
35 just be interested to know, I mean, this is useful
36 and the next step would be really if -- how
37 prevalent the infection would -- of *renibacterium*
38 *salmoninarum* would be in these pens when these
39 diagnoses are being made. Is it just a few fish
40 or is it really an outbreak of the disease?
41 Q Right. And so having access to those records
42 would have been some utility?
43 DR. KENT: Yes, of course.
44 MR. LEADEM: Might that be marked as the next exhibit
45 in these proceedings, please.
46 THE REGISTRAR: 1497.
47

1 EXHIBIT 1497: 2010 BC Salmon Farming
2 Database
3

4 MR. LEADEM: And then if I could take a look at 2008,
5 once again for the same -- this would be, I
6 believe, Conservation document number 6. And I
7 apologize, Mr. Lunn, we haven't listed them in
8 sequential order.

9 Q Once again, I'm simply screening for *renibacterium*
10 *salmoninarum*. If I look at, once again going to
11 Tab 2 and line 99, 100, 112, 117, once again we
12 see some of the reports coming from some of the
13 farms that there is an infection from
14 *renibacterium R. sal*.

15 DR. KENT: I see that. If you go to the top, I thought
16 I saw something referring to species, if you
17 scroll all the way to the top of the document. I
18 thought I saw something. Where's the host
19 species, is that on here? Yeah, I thought I saw
20 something referring to Chinook and Atlantic. I
21 guess what I'm getting at is I would want to --
22 it's an interesting finding if you're finding a
23 lot more bacterial kidney disease in the Atlantic,
24 it would not be a surprise if it was with the
25 Chinook farms.

26 Q Yes.

27 DR. KENT: From my experience, we would see lots of
28 bacterial kidney disease in a Chinook farm.

29 MR. LEADEM: Okay. Could you we have the 2008 database
30 entered as an exhibit in these proceedings.

31 THE REGISTRAR: 1498.
32

33 EXHIBIT 1498: 2008 BC Salmon Farming
34 Database
35

36 MR. LEADEM: Now, Mr. Commissioner, I'm in your hands,
37 but rather than, because of the interest of time,
38 I was going to take Dr. Kent to 2007, 2006, 2005,
39 and 2004, three and two. And rather than spend
40 the time of the Commission, I'm going to seek to
41 tender all of those databases into evidence, and I
42 will provide in argument the exact line number
43 where you can find evidence of *R. sal*. And all
44 these databases. So I'm going to seek to tender
45 those into evidence at this time.

46 THE COMMISSIONER: They're in the same format as the --

47 MR. LEADEM: They're in the same format. They're in

1 Excel spreadsheets.
2 THE COMMISSIONER: Very well.
3 MR. LEADEM: All right. I think the best way to do
4 this, Mr. Registrar --
5 THE COMMISSIONER: In the interest of time --
6 MR. LEADEM: -- is to give you --
7 THE COMMISSIONER: Mr. Leadem, just in the interest of
8 time, perhaps during the break you can just
9 organize that and provide that --
10 MR. LEADEM: I'll do that with the Registrar.
11 THE COMMISSIONER: All right. Thanks very much.
12 MR. LEADEM: Thank you, Mr. Commissioner.
13 Q Now, Dr. Stephen, I want to turn to your
14 recommendations, because I found a lot of them
15 were very useful recommendations, and the one
16 specifically that I'd like to focus upon is your
17 sub-recommendation number 2a at Exhibit 1453
18 (sic), I believe. Your recommendations start at
19 page 99 of your report. And if you can get 2a for
20 me. Thank you.
21 DR. STEPHEN: Just one second here. Yes, got it.
22 Q All right.
23 MR. LUNN: Did you say page 99?
24 MR. LEADEM: It starts at page 99. It's actually on --
25 at the late page --
26 DR. STEPHEN: 100.
27 MR. LEADEM: -- 100 of the actual report. Thank you,
28 Dr. Stephen.
29 Q So 2a is:
30
31 Make information management and records
32 systems consistent across facilities and
33 accessible to fish health staff to allow for
34 ongoing surveillance of trends in growth,
35 morbidity, mortality, population information
36 and environmental quality.
37
38 I take it you made that recommendation because you
39 found no consistency between the reporting
40 mechanisms from the hatcheries that you
41 investigated; do I have that right?
42 DR. STEPHEN: Not no consistency, but there was a lack
43 of consistency, particularly when we got to some
44 of the community and public involvement programs
45 where we were getting handwritten records and some
46 challenging problems with that, as well as the
47 interviews with some of the staff where they

1 didn't have routine access to -- we've segregated
2 off the disease databases with some of the
3 population databases, and people are reporting a
4 challenge in trying to integrate those two
5 together through the government systems.

6 Q If you scroll down, please, Mr. Lunn, under the
7 recommendations, themselves, you have a bit of a
8 discussion on that, which I found to be very
9 informative. So if you just scroll, keep on
10 scrolling, the rationale I thought was very
11 useful. You say:

12
13 Current fish health programs separate
14 personnel, infrastructure and capacity by
15 whether or not a salmon is privately owned,
16 is publically owned but cultured or is wild.
17

18 And you want to understand the disease
19 relationships of cultured and wild fish will
20 require capacity and expertise. So I felt that
21 your rationale really made a lot of sense, so you
22 wanted to integrate the data and efforts across
23 public and private and wild fish sectors. It makes
24 a lot of sense to me to actually have one dataset
25 that the scientists can actually call upon to make
26 some conclusions about what's going on in these
27 hatchery-raised and farm-raised environments. Is
28 that fair?

29 DR. STEPHEN: I think not just only to understand. I
30 guess I'm looking at it two ways. Back to your
31 earlier question, too, about how to manage a
32 problem in the absence of certainty, and I think
33 that there's capacity for a good sharing of
34 perspective and experiences between these different
35 groups working on similar problems, which relates
36 to one of my other recommendations of the Fish
37 Health Management Committee, which was a body that
38 existed a number of years ago where, you know, non-
39 partisan people came together and shared their
40 experiences, their challenges, and the absence of
41 scientific certainty worked towards some agreed
42 upon movement on fish health standards.

43 Q Thank you. I want to turn, now, to you, Dr.
44 Johnson, and Dr. MacWilliams, and the next set of
45 questions will be to you.

46 Dr. Johnson, you made a lot of commentary and
47 gave a lot of evidence when you were questioned by

1 the Province with respect to sea lice. Would you
2 not agree with me that Dr. Simon Jones of your
3 department is a lot more versed with respect to the
4 ongoing research in sea lice, and he'll be coming
5 later to give evidence in these proceedings?

6 DR. JOHNSON: Dr. Simon Jones and I actually have an
7 active research program. He's doing the laboratory
8 component and I'm doing the field base component --

9 Q Yes.

10 DR. JOHNSON: -- of sockeye surveys in the Strait of
11 Georgia.

12 Q Okay. But as I understand it, he's coming
13 specifically to give evidence on the sea lice --

14 DR. JOHNSON: (Indiscernible - overlapping speakers) he
15 was asked to come and give evidence on the sea lice
16 issue because he's been in British Columbia,
17 whereas I was absent for a few years.

18 Q Now, if I can have Conservation document number 13,
19 please. This is not what I'm looking for, again.
20 I'm looking for PAAR Project Proposal 2010/11,
21 Canada 181911, Calls for Proposals. That's it.
22 Thank you, Mr. Lunn.

23 Do you recognize this, Dr. Johnson? This is
24 your Call for Proposals.

25 DR. JOHNSON: Yes, it is.

26 Q And specifically a research priority to study
27 *Lepeophtheirus salmonis*?

28 DR. JOHNSON: No, it's a proposal to look at sockeye
29 health, including counts of both species or all
30 species of sea lice that we find on sockeye salmon,
31 as well as to conduct some laboratory studies to
32 look at the impacts of low levels of infection on
33 sockeye salmon and other juvenile salmonids.

34 MR. LEADEM: Might this be marked as the next exhibit,
35 please.

36 THE REGISTRAR: 1499.

37
38 EXHIBIT 1499: Program for Aquaculture
39 Regulatory Research (PARR) Calls for
40 Proposals (2010/11), PAAR Project Proposal
41 2010/11
42

43 MR. LEADEM: Thanks.

44 Q Dr. MacWilliams, recently Canada produced a couple
45 of e-mails, and I'm going to ask you about one of
46 them and then Dr. Johnson about the other. Could
47 I have DFO document 598951, please. This appears

1 to be an e-mail exchange from Dr. Miller-Saunders
2 to yourself, Dr. MacWilliams. Have you seen this
3 before?

4 DR. MacWILLIAMS: Yes, I have.

5 Q And it appears that there was a meeting in Laura
6 Richards office regarding your reasoning, I take
7 that to be you:

8
9 ...for not initiating any testing of
10 aquaculture fish (specifically Atlantic
11 salmon) for the Parvovirus we have recently
12 identified in high prevalence in wild sockeye
13 salmon populations. You stated that until
14 such a virus is accredited as an OIE -

15
16 -- I'm going to come back to that and I'm going to
17 ask you what that stands for --

18
19 - rated disease, causing considerable
20 observable mortality, and the molecular assay
21 is validated and certified as such, one
22 cannot ask industry to test their fish.
23 Moreover, you stated that there is no benefit
24 to testing, and if we were to ask industry to
25 voluntarily submit fish for testing, that you
26 would recommend to them that it would not be
27 in their best interest to comply.

28
29 Does Dr. Miller-Saunders have your conversation
30 accurate?

31 DR. MacWILLIAMS: No. I believe my statements at that
32 meeting were misinterpreted, and I chose not to
33 answer this e-mail.

34 Q Sorry?

35 DR. MacWILLIAMS: And I chose not to answer this
36 e-mail.

37 Q So are you denying that you made those comments in
38 the context of a meeting with Dr. Richards and Dr.
39 Miller?

40 DR. MacWILLIAMS: I'm saying that those comments are
41 misstated in this e-mail, the comments that I
42 made.

43 Q All right. What comments did you make? Did you
44 say, for example, that there would be no benefit
45 to testing?

46 DR. MacWILLIAMS: No. I cautioned that asking industry
47 to test in that species with a test that we're not

1 really sure what positive means, we don't know
2 what negative means, the implications of the test
3 are unknown, I thought it was premature to take
4 that out of a research context into a
5 surveillance-type approach. I think it's more
6 appropriate to design an experiment and assess
7 whether a hypothesis with an appropriate
8 experimental design and controls in place, as
9 opposed to taking a test with unsubstantiated,
10 unknown results to an industry setting.

11 And the comments I made about OIE were,
12 again, cautionary, saying that even in the
13 interest of international trade, there are certain
14 standards required of testing before it's applied,
15 in that a test needs to be robust, repeatable, and
16 that --

17 Q What is OIE? I'm not sure what it stands for.
18 DR. MacWILLIAMS: Office International des Epizooties,
19 it's the World Health Organization that controls
20 international trade perspectives in controlling
21 aquatic animal diseases.

22 MR. LEADEM: Might this be marked as the next exhibit,
23 please.

24 THE REGISTRAR: 1500.

25
26 EXHIBIT 1500: E-mail from Kristi Miller-
27 Saunders to Christine MacWilliams, dated July
28 29, 2011, Subject: testing of Atlantic salmon
29

30 MR. LEADEM: Could I now turn to you, Dr. Johnson, and
31 ask Mr. Lunn to pull up DFO 598950. It should be
32 the document just right before. There we go.

33 Q This appears to be an e-mail from Dr. Miller-
34 Saunders to yourself, Dr. Johnson. Did you, in
35 fact, receive this e-mail?

36 DR. JOHNSON: Yes, I received this e-mail.

37 Q And it appears that it follows up on a
38 conversation in Laura Richards' office. Would
39 that be the same conversation that was -- you were
40 present for --

41 DR. JOHNSON: Yes.

42 Q -- and Dr. MacWilliams and Dr. Miller?

43 DR. JOHNSON: And Dr. Garver --

44 Q Yes.

45 DR. JOHNSON: -- and Mr. Mark Saunders.

46 Q Okay. So in this case:
47

1 I am following up from our conversation in
2 the office regarding your reasoning for not
3 recommending that we initiate testing of
4 aquaculture fish (specifically Atlantic
5 salmon) for the Parvovirus we recently
6 identified in high prevalence in wild sockeye
7 salmon populations. My recollection of your
8 reasoning was that there was no reason to
9 test Atlantic salmon before we underwent
10 large-scale screening of pink and chum salmon
11 and understood the potential role this virus
12 may have across multiple species of wild
13 fish. Is this correct?
14

15 Did you answer her?

16 DR. JOHNSON: I never responded to this e-mail.

17 Q Does she have it accurate?

18 DR. JOHNSON: We were going to have a meeting
19 subsequent to this. No, it's not accurate.

20 Q What's your version of it, then?

21 DR. JOHNSON: We discussed the possibility of --
22 because the Parvovirus has been found in both
23 fresh and saltwater, we discussed the possibility
24 of screening all salmonids in British Columbia,
25 including ones that we'd collected as part of our
26 sockeye surveys, which included pink and chum
27 salmon, and if I'm not mistaken, I would consider
28 farmed Atlantic salmon as one of the species of
29 salmon that we have in British Columbia.

30 We also discussed the possibility of holding
31 off on the screening of farmed Atlantic salmon
32 until the results of the challenge trial being
33 done with Parvovirus were completed. There was
34 also some discussion about the specificity and the
35 sensitivity of the tests she was using, which is a
36 non-validated diagnostic test.

37 Q Does Canada have a plan to actually start to
38 sample net-pen fish, Atlantic salmon specifically,
39 for the incidents of Parvovirus?

40 DR. JOHNSON: Although I was not able to make the
41 meeting because of Cohen-related activities, as I
42 understand, the fish farms will be providing
43 samples for screening for Parvovirus.

44 Q As of when?

45 DR. JOHNSON: I am not sure of the actual date. That
46 could be something you could ask Dr. Miller
47 tomorrow.

1 MR. LEADEM: Okay. I have a couple of other documents
2 I wanted to seek to tender through this panel, and
3 at the risk of my adulterated list, I'm going to
4 ask that document number 22 from the Conservation
5 documents be pulled up. Hopefully, it's what I
6 think it is. It's a report by Vike and Nylund.

7 MR. MARTLAND: I wonder, just before we move on, if the
8 document on the screen ought to be marked.

9 MR. LEADEM: Oh, sorry. Thank you, Mr. Martland.
10 Might that be marked as the next exhibit. It
11 should be 1501, by my calculations. That's an
12 easy one to remember.

13 THE REGISTRAR: That's correct, 1501.

14

15 EXHIBIT 1501: E-mail from Kristi Miller-
16 Saunders to Stewart Johnson, dated July 29,
17 2011, Subject: testing Atlantic salmon for
18 Parvovirus

19

20 MR. LEADEM: All right.

21 Q I understand that -- Dr. MacWilliams, are you
22 familiar with this paper, the ISA virus in Chile:
23 evidence of vertical transmission?

24 DR. MacWILLIAMS: I have read it, yes.

25 MR. LEADEM: All right. Might this be marked as the
26 next exhibit, please.

27 THE REGISTRAR: 1502.

28

29 EXHIBIT 1502: ISA virus in Chile: evidence
30 of vertical transmission, by Siri Vike, Stian
31 Nylund, and Are Nylund

32

33 MR. LEADEM:

34 Q And for the benefit of the Commission, could you
35 explain the difference between vertical
36 transmission and horizontal transmission?

37 DR. MacWILLIAMS: Horizontal transmission would be the
38 transmission from a fish to fish basis; vertical
39 transmission would be an inter-ovum
40 transgenerational transmission from parent to
41 offspring.

42 Q In this case, as I understand it, and correct me
43 if I have it incorrectly, the fish virus here, the
44 ISA virus that came into Chile was -- actually
45 came in through the eggs that were transported
46 from Norway as a source; do I have that right?

47 DR. MacWILLIAMS: That was their interpretation, yes.

1 MR. LEADEM: Thank you, those are my questions.

2 THE COMMISSIONER: Thank you, Mr. Leadem.

3 MR. MARTLAND: Thank you, Mr. Commissioner. I have
4 counsel for the First Nations Coalition at 35
5 minutes now.

6 MS. GAERTNER: Thank you, Mr. Commissioner. Brenda
7 Gaertner, and with me, Crystal Reeves for the
8 First Nations Coalition.

9

10 CROSS-EXAMINATION BY MS. GAERTNER:

11

12 Q I'm going to start with Exhibit 1364 and questions
13 of you, Dr. Johnson, and I'll move, immediately
14 after that, to Exhibit 1461.

15 Dr. Johnson, have you seen the draft summary
16 report that's before you? That's the summary
17 report that we were provided of this meeting that
18 DFO had on April 14th and 15th in which you were
19 in attendance?

20 DR. JOHNSON: Yes, I assisted in the editing of the
21 document.

22 Q And when this meeting occurred and the editing of
23 this document, you were aware that these documents
24 would be tendered by your counsel in this inquiry;
25 is that correct?

26 DR. JOHNSON: We were asked to provide a summary of the
27 meeting for this, along with all of the
28 presentations for the meeting, which have all been
29 given to the Commission.

30 Q And so all of the presentations that were done and
31 this document were done in preparation for it
32 being tendered as evidence in this Commission?

33 DR. JOHNSON: No, I believe that the original, or
34 purpose of having this meeting was to have a
35 meeting amongst ourselves to review the various
36 hypotheses related to the possible declines of
37 sockeye salmon.

38 Q But when the documents were completed and the
39 reports were done, you were aware that they were
40 going to be tendered as evidence today, or
41 evidence at this inquiry?

42 DR. JOHNSON: Yeah, I -- they were asked for and they
43 were provided.

44 Q And by my review of the attendees, your legal
45 counsel in this inquiry were also present at that
46 meeting; is that correct?

47 DR. JOHNSON: Yes, legal counsel was also there.

1 Q Okay. And at page 10 of 22 of this document is
2 where you provide the overview on disease; is that
3 correct?

4 DR. JOHNSON: Yes.

5 MS. GAERTNER: Mr. Commissioner, maybe I'll just take a
6 moment. A number of times, off the record, my
7 clients have been asked what their views on this
8 topic are, and given the positions in this room
9 and all of that, there seems to be a little bit of
10 lack of clarity on that. I just want to --

11 MR. TAYLOR: I just want to get some clarity, first.
12 There is no "off the record"; we're on the record.

13 MS. GAERTNER: No, well, I'm sorry, I've been asked in
14 this room, when we're not at the podium, this
15 issue, and given the positions in this room, I
16 think it would be useful for you to know that in
17 the work that we're going to do on disease and
18 aquaculture, my clients have instructed us that
19 we're seeking to find better information regarding
20 the relationships of disease in aquaculture with
21 the wild stocks, better framework for management
22 of this information, the sharing of this
23 information, and active steps for the
24 precautionary protection of the migratory route,
25 and these are the basis in which we are going to
26 approach the questions, because it's my experience
27 that people make assumptions about the positions
28 that are taken in this, and I think those
29 assumptions get in the way.

30 Q So I'd just like to pursue with you the
31 information that you provided in the overview of
32 the disease, and that's found at page 10 of the
33 document, and that's the presentation that you've
34 provided; is that correct?

35 DR. JOHNSON: That's correct.

36 Q And this is a very broad overview of the
37 influences of disease on wild stocks; is that
38 correct?

39 DR. JOHNSON: Yes. And the purpose of which was to
40 inform those that are unfamiliar with the process
41 of disease and the relationship between diseases
42 and pathogens.

43 Q Just as a matter of interest, have you ever
44 provided a similar type of report like that to
45 First Nations in the Province of British Columbia?

46 DR. JOHNSON: I have worked with various First Nations
47 groups to discuss fish health issues. I have not

1 provided this type of instructions. I've provided
2 instructions of sea lice and sea lice interactions
3 with First Nations.

4 Q All right. Now, in your view, if the ultimate
5 cause of mortality in Fraser River sockeye salmon
6 was disease resulting from a pathogen, we're not
7 going to find that fish or that population,
8 because Fraser river sockeye salmon don't tend to
9 float, do they? So we're not going to find the
10 disease or the death or the ultimate cause in that
11 way, correct?

12 DR. JOHNSON: I would -- yeah, it's very difficult to
13 find diseased and dying fish in the ocean, but not
14 impossible to find them in lakes and rivers
15 sometimes.

16 Q And if I heard the evidence correctly, it's also
17 accurate to say that the effects of pathogens as a
18 cause of mortality can be very population
19 specific, and in the context of Fraser River
20 sockeye salmon, we're talking about conservation
21 units at that point in time; is that correct?

22 DR. JOHNSON: Based on what I know from other fish
23 types and species, yes, different strains or
24 different even families of fish can show different
25 susceptibility to pathogens.

26 Q And what I also heard from the evidence is that
27 given the increase in such things as changes in
28 water temperature, exposure to toxic chemicals,
29 emerging chemicals of concern, that the impacts
30 for pathogens and the diseases caused by that are
31 becoming increasingly more relevant to the long-
32 term sustainability of Fraser River sockeye
33 salmon?

34 DR. JOHNSON: I think that with -- given all of those
35 various climate change and other insults, that we
36 must be aware that there are pathogens that could
37 possibly cause disease under those -- when water
38 conditions are poor.

39 Q And so if we can't find dead fish, would you also
40 agree that the increasing identification of en
41 route mortality and pre-spawn mortality are
42 indicators or potential indicators of increased
43 susceptibility to pathogens and disease by Fraser
44 River sockeye salmon?

45 DR. JOHNSON: I don't think it's necessarily increased
46 susceptibility to pathogens or disease. What I
47 think you see sometimes is not such -- not very

1 optimal water conditions, for example, which means
2 that the pathogens that these fish are already
3 carrying, or pathogens that they acquire once they
4 enter the river, may have a different outcome than
5 if the water conditions were perhaps more
6 favourable.

7 Q Right. So if the water conditions are becoming
8 more difficult and we have increased en route
9 mortality or pre-spawn mortality, that could be an
10 indicator that these salmon are now suffering from
11 increased disease or mortality caused by
12 pathogens?

13 DR. JOHNSON: Yes, I would say that's true. But the
14 deaths could also be due to physiological factors.

15 Q Dr. Kent, do you agree with all of this so far?

16 DR. KENT: For the most part I agree with Dr. Johnson.
17 I mean, I basically agree with him. I guess my
18 interpretation of where we're going, we do a lot
19 of work with pre-spawn and en route mortality in
20 Oregon, and this is a question about the -- one of
21 the -- it seems like one of your questions was
22 relating to are they genetically more predisposed
23 now. I would put that at a lower priority. It's
24 more changes in the environment, fish coming back
25 earlier than they used to be, and then given the
26 pathogens and opportunity to cause more disease.

27 So the general school of thought with en
28 route and pre-spawn mortalities are changes in the
29 river environment and changes in the time that
30 fish return are two major factors allowing for
31 opportunistic pathogens or pathogens that are
32 common in salmon to just cause a lot more damage
33 than they normally would.

34 Q Right. So given those changes, the pathogens
35 may --

36 DR. KENT: Yeah, right.

37 Q -- be causing the death --

38 DR. KENT: Right, yeah.

39 Q -- is what I'm saying.

40 DR. KENT: That's right.

41 Q You'll agree with me on that?

42 DR. KENT: Yes.

43 Q And Dr. Stephen, you'd agree with me, then?

44 DR. STEPHEN: Well, I take care confusing mortality
45 with loss, first. You brought out the early point
46 of finding them, so to make sure they died and not
47 been captured or gone somewhere else, so that's

1 the first thing. And secondly, it's always
2 challenging to equate mortality with disease, and
3 particularly here we're talking about infectious
4 diseases. But I'd agree that if you had increased
5 mortality in a population, infectious disease
6 would be impossible to investigate.

7 Q All right. And the First Nations that I represent
8 along the migratory route of the Fraser River
9 sockeye salmon, in addition to noting increased en
10 route mortality, are also seeing increased stress
11 in the fish's ability to swim, multiple changes to
12 their skin condition and flesh conditions, like
13 lesions and tumours, and very concerned about
14 these skin and flesh conditions. Would you also
15 agree that those are also other indicators of
16 potential increased effects of pathogens on the
17 salmon?

18 DR. JOHNSON: Skin lesions can occur from a variety of
19 different causes of it than simply pathogens.

20 Q But can it be related to pathogens?

21 DR. JOHNSON: Some skin lesions can be related to
22 pathogens, yes.

23 Q And would you also agree, given the climate
24 changes and the increases in other stresses that
25 are going on in our environment, that the
26 acceptable level of risk that was determined in
27 the 1980s and 1990s may no longer be acceptable
28 standards of risk today?

29 DR. JOHNSON: And what levels of risk are you referring
30 to?

31 Q Well, if decisions were made in the 1980s and
32 1990s, and we didn't have as much information
33 about climate change and climate variability and
34 en route mortality, now that we do have those,
35 there would need to be a review of such decisions
36 in order to determine whether there is an
37 acceptable level of risk, given current
38 environment?

39 DR. JOHNSON: Risk, what I -- excuse me, I don't
40 understand, risk of what? What is --

41 Q Exposure to pathogens.

42 DR. JOHNSON: Okay. I'm not aware of what decisions
43 were made in the 1980s and 1990s, as I was not
44 part of DFO at that time. I don't have an answer
45 to that question.

46 Q Dr. Kent?

47 DR. KENT: Can you be a little bit more specific about

1 what decisions from the '80s and '90s --
2 Q Well, I'm just going to use siting, for example.
3 There is siting of fish farms --
4 DR. KENT: Okay.
5 Q -- that were made in the '80s and '90s in which
6 decisions as to the impact of Fraser River sockeye
7 salmon and climate change were not exactly at the
8 top of the list of concerns that were being used
9 when determining the location of these farms. So
10 here we are, now, in 2010, there's a lot more
11 information that we've had. Would you agree that
12 the level of risk needs to be reviewed, given
13 these changes?
14 DR. KENT: I would agree with you in the context that
15 you're -- in making these decisions considering
16 that the sockeye -- at that time there was not as
17 much concern about the sockeye run, now there --
18 the sockeye population. Now that there is, so
19 that would become a higher priority in making
20 management decisions, including in how this might
21 potentially effect sockeye salmon.
22 Q And given all the other potential impacts that are
23 happening to Fraser River sockeye that we have now
24 learnt about since that time, there may be
25 different levels of risk that we can take today
26 than we considered in the '80s or '90?
27 DR. KENT: Yeah, we're moving forward, but we'd still
28 need a lot more information.
29 MS. GAERTNER: All right. Can I now go to Exhibit
30 1471, and page 10.
31 MR. LUNN: 1461, perhaps?
32 MS. GAERTNER: 1461, sorry. I said 71; I meant 1461.
33 Q Dr. Stephen, this is the -- Dr. Johnson, sorry,
34 this is the deck that was presented at this
35 meeting of DFO scientists in April of this year.
36 And if you go to page 10 of the deck -- sorry, no,
37 it's the page that has the map of the overlapping
38 circles. I have it as page 10 of the actual...
39 MR. TAYLOR: I think it's page 2 or 4.
40 DR. JOHNSON: Yeah, it's very close to the front of the
41 deck.
42 MS. GAERTNER: It's page 2. Thank you, Mr. Taylor.
43 Q I noticed these three overlapping circles, and I'm
44 just wondering, Dr. Johnson, from your work, if
45 you were beginning to study the present risks
46 associated with Fraser River sockeye salmon and
47 pathogens, which of those three would you focus

1 on? Would you focus on the host or the
2 environment or the pathogen? How would you go
3 about doing this?

4 DR. JOHNSON: Do you mean studying the pathogens or
5 studying the disease? If I want to study disease,
6 then the message here is you need to consider all
7 three of these and the interactions that go on
8 between them.

9 Q And Dr. Stephen, if you were trying to look at
10 health, which one would you go after?

11 DR. STEPHEN: Well, I guess I'd add another circle,
12 first. I'd want to make sure that they're talking
13 about not just the biotic environment but also the
14 social environment. And you couldn't -- if you're
15 going to look at health, you must look at all of
16 them together, and that's the significant
17 challenge we're facing, I think.

18 Q All right. And so now I want to turn to some
19 questions that I thought of last night, Dr.
20 MacWilliams, when you're describing, well, when
21 your counsel was asking questions about managing
22 for pathogens, you responded by describing the
23 biosecurity that happens in the salmon enhancement
24 facilities, and you divided it into three
25 categories for the whole panel. She divided that,
26 keeping pathogens out of the facilities prevent
27 the spreading and reducing susceptibility to
28 disease, and I'm assuming reducing susceptibility
29 to diseases makes stronger -- now, I want to make
30 a transfer from the enhancement facilities to
31 looking after wild salmon when they're in their
32 migratory routes, when they're in the wild, and I
33 want to take those three basic categories and say,
34 if we're going to keep pathogens out we'd be
35 looking at -- closely looking at the migratory
36 routes. And then I want to hear from you on
37 preventing the spreading, what precautionary steps
38 we could take there. And then we'll go to health
39 in a moment.

40 So if we were preventing the spreading of
41 pathogens, would you agree that preventing the
42 intermingling or exposure to other species,
43 including other salmonids, would be a first step
44 that -- species that may be carrying pathogens?
45 DR. JOHNSON: I would say that for any given pathogen,
46 it doesn't matter what species is carrying it,
47 yes, you would want to limit your exposure to

- 1 other fish which are carrying that pathogen.
2 Q And in the case of Fraser River sockeye salmon
3 that are operating in the wild, what human
4 activity can we do to prevent their exposure to
5 other fish or other species carrying pathogens?
6 DR. JOHNSON: We could continue to maintain high levels
7 of biosecurity associated with our aquaculture
8 activities.
9 Q Could we also move net-pen farms so that they
10 weren't in the migratory route? Would that be a
11 way of minimizing exposure to pathogens?
12 DR. JOHNSON: If pathogens were being sent by a salmon
13 farm, yes.
14 Q Well, it's not a question of "if" as I've heard it
15 today. I heard all kinds of different ways that
16 it's clear that we understand that there's
17 comingling. We don't exactly know which comes
18 first, the chicken or the egg argument may be
19 something that I would characterize it as. It's
20 not a question of "if", it's a question of "how"
21 and "when" as I've heard it. We could spend a lot
22 of time, as I've also heard it, looking at that
23 question, but if, in the meantime, we wanted to
24 protect wild stocks from being exposed to
25 pathogens, what human behaviour could we do? We
26 could move net farms, is that agreed?
27 DR. JOHNSON: That's one thing that I guess you could
28 do, yes.
29 Q Is there anything else that you're aware of that
30 we could immediately do, particularly in the
31 marine, to prevent exposures to pathogens by
32 Fraser River sockeye salmon?
33 DR. JOHNSON: Other sources of pathogens are pretty
34 much out of our control.
35 Q Thank you. All right, Dr. Kent, I wonder if I
36 could take you to your report and go to page 24,
37 which is Exhibit 1449. And I'm looking at your
38 recommendations, because our clients are very
39 interested in how we can move forward. By my read
40 of those, they appear quite linearly, like you do
41 one step, then you do the next, then you do the
42 third, and I particularly picked that up when I
43 got to recommendation number 3, the environmental
44 factor. And you're suggesting that only after a
45 pathogen is shown to be associated with mortality,
46 and that was like after several years of further
47 research, that's number one, then you do all the

1 data analysis, could you then conduct
2 investigations to elucidate which factors
3 influence the distribution and abundance of these
4 pathogens, do we really need to do it that way?
5 Do we really need to do it so linearly? Can we be
6 more iterative about this?

7 DR. KENT: Yeah, we could, and I guess a good
8 clarification for item 3, I would make the
9 assumption we're talking about from an infectious
10 disease approach what my recommendation is.
11 Probably a good clarification, in hindsight, would
12 be good to put in there that these mathematicians,
13 ecologists, fisheries biologists would be looking
14 at environment and other, you know, other --
15 collecting those data independently before we
16 start plugging in the pathogen data.

17 So I think that that would be a caveat I'd
18 change there. I'm not saying that if we look at
19 this in total that we'd just have the
20 statisticians and modellers and ecologists sitting
21 doing nothing on these environmental conditions,
22 waiting for us to come up with a pathogen, then
23 we'd start working with them, but they would be
24 working independent at the same time the
25 pathologist and other fish disease experts would
26 be undertaking items 1 and 2. Do you follow me on
27 that?

28 Q Yes, I do. I'm just looking at my next question,
29 actually.

30 DR. KENT: Okay.

31 Q I apologize, but I was listening. Now, if you
32 agree that we're not managing pathogens but,
33 rather, we're not managing -- and we're not
34 actually even managing Fraser River sockeye
35 salmon, we're managing human behaviour, that's
36 essentially what humans get to do when it comes to
37 wild stock, and if you look at the environmental
38 factors that you've listed in the brackets there
39 and you accept for a moment that DFO doesn't have
40 jurisdiction over the human's use of fossil fuels
41 and doesn't have much jurisdiction over logging
42 practices and other land use practices, would you
43 agree, again, that this is another way of saying
44 that we're going to have to focus on pen farming?

45 DR. KENT: Yeah, certainly in conducting the analyses
46 you would include net-pen farming along with these
47 other factors. Even if DFO cannot directly affect

1 land use practices, I would assume that if DFO and
2 other scientists correlated impacts of land use
3 practices on causing significant disease on our
4 sockeye salmon, that there are other means to
5 change logging practices and agricultural
6 practices if those really were playing a
7 significant role. If the scientists ended up
8 demonstrating that.

9 So yeah, I agree, I assume the net-pen
10 farming would be something DFO would be able to
11 control directly. So, on the other hand, I
12 wouldn't expect that the scientists should just
13 ignore these other potential anthropogenic factors
14 that might be affecting the overall prevalence of
15 a particular disease.

16 Q Thank you. And Dr. Johnson, you've heard --
17 you've mentioned that you've actually worked
18 directly with some First Nations. I'm sure you're
19 aware that First Nations have raised, over the
20 years, concerns around disease and concerns around
21 aquaculture and net-pen farming relationships to
22 disease, correct?

23 DR. JOHNSON: Yes.

24 Q Are you aware of any steps that the industry has
25 been asked to take to provide research into
26 addressing that concern, the industry, itself,
27 providing studies around the relationship between
28 their activities and wild stocks, or is this
29 something that DFO takes on, themselves?

30 DR. JOHNSON: There are some, I believe, a program in
31 the Broughton that involves sea lice and the
32 variety of different groups, to look at the
33 potential impacts of sea lice.

34 Q That's one study.

35 DR. JOHNSON: That's one such study.

36 Q Is there any other work that industry has been
37 doing to assist you in addressing this concern?

38 DR. JOHNSON: The industry contributed some money in
39 the first year of our Fraser River sockeye survey,
40 along with the Salmon --

41 Q That's it so far?

42 DR. JOHNSON: -- Foundation.

43 Q And that's it so far?

44 DR. JOHNSON: That's what I -- that's the two that I
45 can remember. Maybe --

46 Q And would you agree with me that if we've got
47 difficulties regarding funding within the

1 Department of Fisheries and Oceans and if the
2 concern is with an active industry who's making a
3 very significant profit, that it might be then
4 that needs to address some of these concerns?

5 DR. JOHNSON: I think that the industry could be asked
6 to contribute to addressing some of these
7 concerns, as well as some of the other user
8 groups, such as the sports fishermen benefit a lot
9 from these salmon, and others that utilize the
10 resource.

11 Q Thank you. I'm going to turn, now, to fish health
12 for a moment, and I'm going to ask my next set of
13 questions to Dr. Stephen for a moment. Dr.
14 Stephen, in your report and in your evidence
15 yesterday, I know you were talking about it as it
16 relates to enhancement facilities, but I think the
17 discussion about risk assessments can go broader
18 than that, given your experience. You spoke of
19 two matters of import; one is acceptable
20 thresholds of risk, and refocusing on fish health.

21 I'd like to take you, now, to page 98 of your
22 report, and that's the section on the state of
23 science. And midway through it, you make a
24 statement that was of much interest to my client.
25 It begins, "Little research," and it says:

26
27 Little research has been done to define
28 socially and ecologically tolerable levels of
29 disease associated with salmonid enhancement.
30

31 Dr. Johnson, would you agree that this is also
32 applicable to the levels of disease in Fraser
33 River sockeye as it relates to other exposures to
34 pathogens?

35 DR. JOHNSON: I would agree, especially for those
36 stocks that are, you know, very threatened.

37 Q And Dr. Stephen, would you agree, in order to do
38 this type of research, i.e. defining socially and
39 ecologically tolerable levels of disease, you're
40 going to need a broad group of people who care
41 about this resource involved in it, and from my
42 client's perspective you're definitely going to
43 need First Nations being involved in helping to
44 define socially and ecologically tolerable levels
45 of disease.

46 DR. STEPHEN: Yes, and I think we featured that in our
47 recommendation as prominently as well.

1 Q And Dr. Johnson, would you agree that this is
2 something that should not be done by DFO
3 scientists in silo, or industry, but rather this
4 has to be done more broadly?

5 DR. JOHNSON: I think that it has to be done more
6 broadly, and input from First Nations is welcome.
7 In fact, any time that we have -- receive concerns
8 from First Nations groups, we try our best to
9 investigate those concerns. And we're having
10 worked on the Alberni Inlet sockeye with some of
11 the groups there. And there's a lot. I learned
12 that they, for example, that they've long known
13 that these sockeye came back to the river carrying
14 sea lice scars and wounds. So I think there is a
15 great deal of value, because the First Nations
16 groups are essentially on the river. We do not
17 have the staff to be everywhere on these rivers.
18 And so if people pick up the phone and phone, then
19 we try our best to accommodate or to investigate
20 people's concerns.

21 Q In fact, if we were looking at systematic
22 monitoring and evaluation of fish health and fish
23 health services and programs, you would agree that
24 that would need to happen at a local and regional
25 level, and First Nations involvement would be
26 extremely useful?

27 DR. JOHNSON: I think everybody's involvement,
28 including First Nations, is useful, provided that
29 those individuals involved are adequately trained
30 and they're given the resources to do that work.

31 Q Now, Dr. Stephen, your recommendations also
32 included attempting to help to focus more on fish
33 health, public accountability and transparency.
34 That's what you were getting at in -- as it
35 related to enhancement facilities, correct?

36 DR. STEPHEN: Yes.

37 Q And one of those recommendations, and I'm going to
38 take you to them right now.

39 MR. MARTLAND: I'd just point out, Mr. Commissioner,
40 this is the usual time for the break. I think I
41 have another 10 minutes for Ms. Gaertner's time.
42 I'm not sure if she'd -- what your preference is
43 or what her preference may be in that respect.

44 MS. GAERTNER: I'm happy to take the break.

45 THE COMMISSIONER: All right, thank you.

46 THE REGISTRAR: The hearing will now recess for 10
47 minutes.

1 (PROCEEDINGS ADJOURNED FOR AFTERNOON RECESS)
2 (PROCEEDINGS RECONVENED)
3

4 THE REGISTRAR: The hearing is now resumed.

5 MR. MARTLAND: Mr. Commissioner, by way of
6 housekeeping, at the break we conferred with Mr.
7 Leadem, as well as the Registrar in relation to
8 the documents Mr. Leadem addressed through his
9 questions and to which no objection was made
10 relating to past years of records. So what's
11 proposed by way of marking these as exhibits, and
12 I'll do this in quick form just to place it on
13 record, would be that first the 2002 document,
14 number 8 on Mr. Leadem's list, would become
15 Exhibit 1503. Next, the 2003 document from number
16 3 on the list is 1504. Next, the 2004, number 5
17 on the list becomes 1505. That the 2005 document,
18 number 7 on Mr. Leadem's list, becomes Exhibit
19 1506. For 2006, number 9 on the list, that
20 becomes 1507. For 2007, which is number 4 on the
21 list, that becomes 1508. And we have the 2008 in
22 already. The 2009, number 2 on the list, would
23 become Exhibit 1509. I don't understand there to
24 be objections identified on those. I proposed
25 those exhibit numbers please be assigned.

26 THE COMMISSIONER: Thank you.

27 MR. MARTLAND: Thank you.

28 THE REGISTRAR: They will be so marked.
29

30 EXHIBIT 1503: 2002 B.C. Salmon Farmer
31 Database
32

33 EXHIBIT 1504: 2003 B.C. Salmon Farmer
34 Database
35

36 EXHIBIT 1505: 2004 B.C. Salmon Farmer
37 Database
38

39 EXHIBIT 1506: 2005 B.C. Salmon Farmer
40 Database
41

42 EXHIBIT 1507: 2006 B.C. Salmon Farmer
43 Database
44

45 EXHIBIT 1508: 2007 B.C. Salmon Farmer
46 Database
47

1 EXHIBIT 1509: 2009 B.C. Salmon Farmer
2 Database
3

4 CROSS-EXAMINATION BY MS. GAERTNER, continuing:
5

6 Q I'm going to return to your report, Dr. Stephen,
7 and I'm going to go to page 101. And that's
8 recommendation number 3, which is I think the
9 recommendation you were referring to earlier when
10 you were talking about getting different people in
11 the room and looking at risk assessments and
12 otherwise. And in particular, I'm just going to
13 make sure I understand what you mean. First of
14 all, in your rationale, you say, "Private sector
15 DFO and FFSBC." You don't specifically reference
16 First Nations there. Was that an oversight on
17 your part?

18 DR. STEPHEN: Yeah, I think even broader than First
19 Nations, there are other aspects of society as
20 well, yes, that could be included in there.

21 Q But you'll agree with me that given First Nations
22 have as constitutional protected right
23 particularly as it relates to Fraser River sockeye
24 salmon that they will have insights, capacities,
25 methods and additional insights provided to these
26 types of groups?

27 DR. STEPHEN: Yes, to the best of my knowledge.

28 Q And if you go to sub-recommendation 3(b), you
29 speak about reinstating a federal/provincial fish
30 health management committee. Recognizing there
31 are concerns that have been raised regarding
32 transparency of information and ensuring the right
33 people are at the table, would you agree that
34 First Nations participation in such an advisory
35 body would be useful going forward?

36 DR. STEPHEN: Just to tell you the background of that
37 body was people who had expertise both inside and
38 out of government in fish health matters. And I
39 think people who have that expertise should be
40 welcome to that sort of committee.

41 Q In fact, if you were looking at that committee to
42 determine things like risk assessments, properly
43 looking at the data, reflecting what type of
44 research we need to do, all of those types of
45 things, it would be recommended that First Nations
46 have a part at that table, would you agree?

47 DR. STEPHEN: You're describing a slightly broader

1 mandate than it had historically but given that
2 mandate I would agree.

3 Q Thank you. Now, the next recommendation I want to
4 take you to is recommendation number 4. And you
5 refer there to "developing consistent and
6 transparent processes". And I'm just trying to
7 understand better how we can make data and
8 information more transparent. And I heard
9 yesterday a little bit of concern about making it
10 public. My clients have been saying that they are
11 not a member of the public and that they should be
12 getting the information at the same time as other
13 governments. What other ways can we look at to
14 determine and improve transparency of information
15 regarding such matters as disease and pathogens?
16 What can we do to improve this?

17 DR. STEPHEN: Well, I think there's two types of
18 transparency. One is I think the one that perhaps
19 you are alluding to was making the results and
20 process accessible to a wide suite of the public
21 and that's again a governmental decision. I think
22 I was thinking more about being more explicit on
23 the criteria and the systems that are used for
24 decision release.

25 We certainly got some explanations from
26 people like Dr. MacWilliams and Sherry Mead about
27 some of their decision but I guess this
28 recommendation somewhat reflects our frustration
29 with trying to document how the decisions were
30 clearly made in each case. So our recommendation
31 was to have some sort of, as you see with 4(a), a
32 more detailed idea of thinking about how we can --
33 almost a decision algorithm, if you like, that
34 would be standard and consistent so that people
35 would understand both within an organization,
36 between organizations and outside, that, yes, we
37 agree we've met our standard for precaution from
38 releasing these fish.

39 Q Dr. Johnson, I'm wondering, in your work whether
40 or not the use of protocols between Science and
41 First Nations would be a useful way of improving
42 transparency of data information and
43 interpretation of that data information, as it
44 relates to pathogens?

45 DR. JOHNSON: Can you define what you mean by
46 "protocols"?

47 Q So if the Department of Fisheries and Oceans and,

1 in particular, Science, had a protocol directly,
2 for example, with the First Nations Fisheries
3 Council, which is the provincial organization,
4 which provided how information would be shared,
5 when information would be shared, those types of
6 specific protocols, would that, in your view,
7 increase the transparency and sharing of
8 information?

9 DR. JOHNSON: I believe it would, yes.

10 Q Would you make that as a recommendation to the
11 Commissioner when he's considering transparency of
12 data?

13 DR. JOHNSON: If First Nations were involved, any
14 partner that's involved in research programs,
15 should be able to share the data -- who's actively
16 involved within the research program.

17 Q And then the last thing I wanted to talk about was
18 the communication of complex issues. These are
19 extremely complex issues, as we've already
20 discovered sitting here, and as we continue to do
21 the work. Dr. Johnson and Dr. Stephen, I'd ask
22 for both of you, what recommendations could you
23 make to improve the communication around these
24 complex issues with First Nations and then with
25 the public?

26 DR. JOHNSON: I guess in one area -- there tends to be
27 a lot of misinformation and a lot of
28 misinformation with respect to diseases, causes of
29 diseases, relationships between pathogens and
30 disease that are out in the public domain. I
31 guess it's the responsibility of all of us who are
32 fish disease experts or fish disease specialists
33 or veterinarians to work more to help the public
34 and First Nations understand these issues and
35 thereby potentially reducing the amount of this
36 misinformation that goes around. I think that's a
37 really important thing to start with.

38 DR. STEPHEN: I'm actually quite glad you asked this
39 question because after the discussion yesterday
40 about my recommendations, a couple more sprung to
41 my mind, without upsetting our colleagues from
42 Canada there who want to be done with
43 recommendations. And I think you've hit on a key
44 thing where, well, one thing I was thinking was
45 actually this body is a nice microcosm of moving
46 forward where we have a variety of parties with a
47 variety of interests with a variety of

1 perspectives. And as I understand it, Mr.
2 Commissioner, it will be your job to try to pull
3 these together to move forward. And the question
4 I had in my mind walking home last night was,
5 who's going to do that after the Commission? And
6 I can see a role for, you know, the Salmon Health
7 Commissioner, whose job it is to link, whose job
8 it is to share information, share perspectives,
9 integrate people so we have -- and even earlier
10 on, ma'am, when you brought up the idea that this
11 wouldn't be within DFO's mandate to look at land
12 use, I hope that we see broadly an all-government
13 approach to a species is affected by many aspects
14 that fall outside our jurisdiction.

15 So to me, that I think would be one very
16 important thing to have a person whose job it
17 would be to still be the knitter together and the
18 communicator and linker. And I think on a more
19 pragmatic level, there's a very big push in
20 Science these days for knowledge and knowledge
21 translation where we have people whose job it is
22 to take complex issues and try to communicate that
23 to other stakeholders, other scientists and other
24 groups. And this is an area we see a lot in the
25 human health field, less so in the biological
26 fields, about getting the information to the
27 people who need to know to make decisions. And I
28 could see that as a strong recommendation going
29 forward as a very important role for government to
30 play to help to facilitate that sort of
31 communications to the broad stakeholders worrying
32 about sockeye salmon.

33 Q And would you agree that it may not be just one
34 individual given the varying approaches to risk
35 and the varying ways in which we look at risk and
36 even how we ask questions of scientists, it may be
37 more useful to have a body of people representing
38 different perspectives?

39 DR. STEPHEN: I think it would be very important to
40 make it somebody's job just so that it's their
41 task to do it but I agree. Maybe we'll call it a
42 secretariat but I very much agree that developing
43 some of the participatory approaches that we see
44 in population health can be applied to an issue of
45 salmon health and that includes a broader body of
46 consultation.

47 Q Thank you. I realized I missed one question on

1 recommendation 2 of yours. You mentioned there
2 under sub-recommendation 2(e) at page 100 that you
3 "create the capacity for fish health staff to
4 visit facilities on a regular basis". I'm
5 wondering if also you would suggest unscheduled
6 site visits to facilities, both in terms of
7 enhancement facilities in this case and also as it
8 relates to fish farms?

9 DR. STEPHEN: That would have two different jobs. To
10 me, one of the most important things for building
11 a good veterinary client relationship so people
12 will take your advice is to build a trusting
13 relationship. And that I think should be separate
14 than an audit and inspection role so that we'd see
15 more collegial development of fish health plans.
16 So I would separate out those two types of visits.

17 Q But you would do both?

18 DR. STEPHEN: I think if you had the objective of
19 ensuring, as you say, some degree of public
20 insight, and this would be unique to food-
21 producing areas if we're looking at the salmon
22 farms and similarly with the hatcheries, but if
23 that is a management goal to have a degree of
24 external auditing, you would have to have some
25 unscheduled visits as well.

26 MS. GAERTNER: Those are my questions.

27 THE COMMISSIONER: Thank you, Ms. Gaertner.

28 MR. MARTLAND: Thank you, Mr. Commissioner. I have
29 counsel for the Cheam and Stó:lō at five minutes.
30 Thank you.

31 MS. SCHABUS: Thank you, Mr. Commissioner.

32 THE COMMISSIONER: Thank you, Ms. Schabus.

33 MS. SCHABUS: Nicole Schabus, co-counsel for Stó:lō
34 Tribal Council and the Cheam Indian Band.

35
36 CROSS-EXAMINATION BY MS. SCHABUS:

37
38 Q Listening to the panel over the past two days it
39 seems that even on the panel when you look at the
40 issues of pathogens and disease, you look at it
41 from a compartmentalized lens almost from the
42 specialization that you're working from and that
43 you are working in. Now, sometimes when it comes
44 down to terms, when you were talking, for example,
45 about risk, you even had a slightly different
46 interpretation looking at it from that lens. But
47 one of the things that I think I heard you all

1 saying is that it is very important to develop a
2 more holistic way of actually looking at fish
3 health when we are dealing with the issue. And
4 I'd just like to put that to you. So when we are
5 dealing with fish health that includes looking at
6 the impacts of pathogens but also the impact of
7 environmental conditions, pollution, et cetera, on
8 the overall fish health and also the increased
9 presence of pathogens, you'd agree with that on
10 the panel?

11 DR. KENT: I would agree.

12 DR. JOHNSON: I would agree.

13 DR. STEPHEN: I would suggest that that still is
14 insufficient (indiscernible - poor sound quality)
15 from thinking about health. I mean, health is not
16 the absence of these hazards that you're talking
17 about. Health isn't the pathogens that you're
18 able to describe in your environment. And that
19 includes giving them the needs for daily living,
20 appropriate food, appropriate water. It includes
21 being able to deal with stressors and hazards like
22 we've talking about, and it also includes our
23 ability to meet our expectations. So I think it's
24 an even broader picture than you've provided.

25 Q I agree with that. And so in the end, what you're
26 seeing is the way forward in dealing with issues
27 of fish health, as you are suggesting and
28 recommending it, to actually have a more
29 comprehensive approach that deals with overall
30 fish health and brings all these experiences and
31 expertise together. I'm putting it to you, Dr.
32 Stephen.

33 DR. STEPHEN: Yes, I would agree that we'd like to have
34 a holistic view of health.

35 Q And an approach, a comprehensive approach of
36 dealing with fish health in light of that?

37 DR. STEPHEN: Absolutely. With the proviso, of course,
38 that we don't really do that well or know how to
39 do that well. Some of the scientific methodology
40 for putting together complex socioecological
41 systems and studying those and understanding the
42 change in systems that are often unpredictable,
43 there's a lot of both cultural change in science
44 and methodological development that has to go into
45 really doing that successfully.

46 Q And what I'm going to suggest to you is exactly
47 that. My clients, as an Indigenous people and

1 Indigenous peoples generally have a more holistic
2 world view and a way of looking at issues that
3 way. And so specifically when it comes to fish
4 health, my clients being Indigenous peoples, they
5 live along the river, my client specifically along
6 the lower Fraser River. And they have a very
7 close relationship with salmon. They're very
8 concerned about the overall decrease in fish, in
9 fish health. So when you're looking at Indigenous
10 knowledge and Indigenous concerns, the way
11 Indigenous peoples articulate those concerns in a
12 holistic manner, I'm suggesting to you that this
13 is actually a very important element that will
14 have to be at the key of developing a more
15 comprehensive approach to dealing with fish
16 health.

17 DR. STEPHEN: I think if we develop an eco-health
18 approach to fish it will take into the account of
19 not only First Nations but other groups who have
20 knowledge of the system for sure.

21 Q Exactly. But when you're looking at Indigenous
22 knowledge, you're looking actually at the most
23 long-term knowledge about fish health and the fish
24 in this very ecosystem and the ecosystem. And I'm
25 putting it to you, Dr. Stephen, but I think also
26 Dr. Kent, you were talking about the necessity of
27 developing a baseline and finding that historic
28 baseline of what a healthy fish population is but
29 also what fish health is. Indigenous knowledge is
30 key to that. Would you agree with that?

31 DR. KENT: I agree with that and I guess I think it's
32 beyond -- I see where you're going with this and I
33 see that this would be a very useful integration
34 of Indigenous knowledge with kind of the
35 scientific method, if you will, and I don't think
36 that they have to be really kept separately and I
37 think there's a way of interacting with the two of
38 them with this obtaining knowledge. Basically,
39 what I'm hearing for the last two lawyers is that
40 we have this opportunity where we have basically
41 field biologists. They may not be trained in a
42 traditional way but you have eyes and ears out
43 there in the field and integrating well with the
44 scientific method. I don't think it would be
45 against the Indigenous way of doing it that this
46 could be a very useful endeavour.

47 Q And not trained in the traditional western way but

1 very much trained in their own traditional way?

2 DR. KENT: That's correct. That's right.

3 Q And just taking it from there, my clients speak
4 and have a concern about the overall decline in
5 health of the Fraser River sockeye salmon stocks.
6 And putting that question to you, as the panel, I
7 suggest to you that you also share in that overall
8 concern about the decline of health of the Fraser
9 River sockeye salmon stocks.

10 DR. STEPHEN: Yes, I certainly do.

11 DR. MacWILLIAMS: Yes, that's correct.

12 DR. JOHNSON: I also do.

13 DR. KENT: And I do, too.

14 Q And having sent that decrease over the last years
15 and decades, that is a concern that you would
16 agree with me is best approached by actually
17 integrating Indigenous knowledge and finding a
18 more comprehensive way of overall planning for
19 fish health.

20 DR. STEPHEN: If I may, I think the importance here is
21 not to start thinking about primacy of information
22 about whose might be more or less important but to
23 actually build that collegial trusting
24 relationship where we can see the evidence and how
25 it contributes to different parts of this complex
26 problem.

27 MS. SCHABUS: Very much so. Thank you. Those are my
28 questions.

29 MR. MARTLAND: Mr. Commissioner, Areas D and B had
30 requested time, although not within the period for
31 time. Still permitting for Mr. Taylor and the
32 short re-examination that I have, I do have five
33 minutes. I'd like to ask counsel, Katrina Pacey,
34 for Areas D and B to use that for her questions.

35 MS. PACEY: Thank you, Commissioner. And thank you to
36 Mr. Martland for accommodating me at the last
37 minute.

38 THE REGISTRAR: Your name, please?

39 MS. PACEY: Katrina Pacey, P-a-c-e-y, first initial K.
40 Thank you.

41

42 CROSS-EXAMINATION BY MS. PACEY:

43

44 Q Dr. Stephen, I have a few questions for you. We
45 have heard over the last two days a great deal
46 about the approach that's been taken to the study
47 of disease in salmon stocks and the gaps in that

1 research in British Columbia. And so my question
2 to you is regarding the focus of that research and
3 the way in which some of that research has been
4 undertaken. So I suppose you would agree with me
5 if I suggested to you that a lot more fish are
6 actually infected with a bacteria or a virus than
7 the number of fish that actually die as a result;
8 is that correct?

9 DR. STEPHEN: Depending on the pathogen but as a
10 generality I'd say that's true, yes.

11 Q And so when we look at other flus, and I'll draw
12 by way of example perhaps the Avian flu, we don't
13 just look at the mortality rates but we look at
14 the number of actual carriers, the rate of
15 illness. So it could be that 30 percent of human
16 beings and 30 percent of animals are sick and then
17 2 percent die, just by way of example.

18 DR. STEPHEN: Generally, in research but not in ongoing
19 monitoring and surveillance. There it's generally
20 looking at morbidity and mortality, whether it's
21 humans, cattle or other species.

22 Q Would you agree with me, though, if concern is
23 regarding the health of salmon stocks in British
24 Columbia, and if our concern is regarding the
25 actual transmission rates, it's important to
26 continue to focus on those actual sick fish, as
27 opposed to just those fish that pass away because
28 obviously transmission itself is more likely from
29 fish that are alive and continue to transmit that
30 virus.

31 DR. STEPHEN: You go and look at the healthy, the
32 infected, the sick and those who are recovered.

33 Q In that case then, would you agree with me that
34 the focus on mortality or on dead fish, as we have
35 seen in the research evolving out of fish farms
36 and so forth, that if we want to focus on
37 transmission rates and the likelihood of
38 transmission from those facilities, that we should
39 refocus our attention and our research efforts in
40 order to look at rates of disease itself and the
41 rates of virus, pathogens and so forth among those
42 stocks, as opposed to just focusing on mortality?

43 DR. STEPHEN: I think if we all want to understand the
44 transmission dynamics and movements of pathogens
45 we have to look at more than mortality, yes.

46 Q And so would you agree with me then that the
47 approach that's been taken in terms of the audits

1 that take place in certain facilities that do
2 focus on mortality should shift away from that
3 pure focus and be looking at actual rates of
4 pathogen, as they exist in the facilities
5 themselves?

6 DR. STEPHEN: The challenge that we have with a lot of
7 fish disease is most pathogen tests require a dead
8 fish. So we've got a methodological problem of
9 having tests that good for live fish that are easy
10 to do and reliable for a number of pathogens, not
11 all of them.

12 Q Perhaps you could give me some more detail in
13 terms of why it is? Is it an accessibility issue?
14 Is it a methods issue?

15 DR. STEPHEN: I think it's a combination of a methods
16 issue and a historical approach issue. I mean
17 back in the history of fish disease, the fish sort
18 of didn't count in some ways and most of them were
19 interested early in just getting the bug and
20 describing the bug. And fish tend not to be like
21 a dog or a cat or a human, looked at in sort of
22 that value of the individual. So they're more
23 like poultry farms where the same thing, they
24 euthanize some chickens and they can get now a
25 more comprehensive suite of diagnostic tests.
26 They can get the physical exam. They can get the
27 bacteriology, the histopathology in a larger
28 suite. So part of it, I think, reflects the
29 history of practice and the way they can access
30 samples.

31 Q So that in light of the concerns in terms of
32 salmon returns on the Fraser that have caused the
33 government to call for a public Commission inquiry
34 and the obvious importance of that issue, would
35 you say that it's appropriate then to refocus
36 research efforts and start taking perhaps a
37 different paradigm in how the lives of those
38 salmon are valued in terms of the disease itself
39 and start looking at the rates of illness, as
40 opposed to just mortality?

41 DR. STEPHEN: Rates of illness, rates of infection, all
42 these things are important. The only caution I
43 put into it, I agree with the importance. Again,
44 we get to the methodological issue of how do you
45 calculate a rate when you can't find the
46 underlying population? Rates require you to know
47 the denominator of the population, as well as the

1 numerator over time. And we know that sometimes
2 the way we capture fish creates a bias in the
3 numerator and how we see the population creates a
4 bias in the denominator. So while we agree, your
5 premise is absolutely right for understanding the
6 full epidemiology of disease, there are
7 significant methodological challenges, not just in
8 the diagnostic tests but in how we actually
9 access, follow and track population to get those
10 numbers that you're talking about.

11 Q Okay. I'm just going to ask one further
12 clarifying question and then I think my time is
13 probably up. And pardon me if I'm not
14 understanding correctly but when we're dealing
15 with populations that are actually contained, the
16 historical approach has been the sort of audit
17 approach where you have a death within the
18 population that prompts everyone's attention to
19 then go in and see what was the cause of death and
20 then perhaps we'll unveil that there is an
21 infection. When we're dealing with contained
22 populations, could it not be that the actual
23 surveillance that occurs could be more attune to
24 live fish and just overall health, as you've
25 discussed in your evidence?

26 DR. STEPHEN: Well, I think there's two different
27 things to think about, that I don't think it's
28 just mortality. Certainly, people look at
29 morbidity or sick animals as well. And for some
30 of the problems like I think again in general, the
31 sea lice monitoring program, they're looking at
32 healthy fish and doing a sample of the entire lot.
33 And again, we have to look at how we're monitoring
34 the population. On the one hand, you could have
35 an external party going and looking and they can
36 decide to look at sick or dead or whatever. Or
37 you can have the ongoing looking of staff.

38 So as we described, and you heard Dr.
39 MacWilliams talk about, they have staff in the
40 hatcheries who are ongoing observing these fish
41 for their feeding behaviour and for their
42 positions in the pans. I mean that's a form of
43 surveillance, not an external auditing but
44 certainly a form of surveillance. So we do have a
45 comprehensive view of what's going on in contained
46 fish populations that might be different than what
47 is being audited for by external parties.

1 MS. PACEY: Thank you. Those are my questions. Thank
2 you.

3 MR. MARTLAND: Mr. Commissioner, Canada for re-
4 examination.

5 MR. TAYLOR: As I understand re-examination, I may re-
6 exam Dr. Johnson and Dr. MacWilliams. I don't
7 think I have a right with regard to Dr. Kent or
8 Dr. Stephen and, therefore, my re-examination
9 should be taken in that regard and anything left
10 undone with the two authors of 1 and 1A, is not
11 anything other than I can't re-exam.
12

13 CROSS-EXAMINATION BY MR. TAYLOR, continuing:
14

15 Q I think my questions are of just you, Dr. Johnson,
16 but we'll see as we proceed over the next few
17 moments. You were asked a question by Ms.
18 Gaertner about whether industry could do more in
19 research or that sort of thing and you answered to
20 do with sea lice. And I think you spoke of sea
21 lice monitoring. Can you very briefly just say
22 what is it that you were thinking of is the work
23 that industry is doing there?

24 DR. JOHNSON: I guess, upon reflecting upon my answer,
25 there are a variety of programs that industry can
26 become involved in and has become involved in,
27 which can relate to fish health, such as programs
28 within the ACRDP. The ones I was thinking of is
29 support that we've received from the industry, for
30 example, to monitor the fish in 2010 in the Strait
31 of Georgia, and industry participation, industry
32 participating with me on a west coast chum salmon
33 survey by providing the fish and the logistics to
34 obtain these fish, as part of an ACRDP program.
35 So that's the sort of industry participation I was
36 speaking about. As well as some financial
37 contributions to some of these programs.

38 Q All right. Are you aware of fish health database
39 upgrades that industry is working on?

40 DR. JOHNSON: I'm not familiar with fish health
41 database upgrades.

42 Q Or any genetic research?

43 DR. JOHNSON: Now, I would leave that for the genetics
44 group to answer. Sorry.

45 Q Okay. And what about any work with respect to a
46 workshop on BDK?

47 DR. JOHNSON: BKD?

- 1 Q Sorry, BDK, yeah.
2 DR. JOHNSON: BKD.
3 Q You say it.
4 DR. JOHNSON: Okay. On bacterial kidney disease, yes,
5 there was a workshop sponsored at the American
6 Fisheries Society fish health meetings recently,
7 which had industry participation, and I believe
8 some industry sponsorship, although I didn't --
9 Q What?
10 DR. MacWILLIAMS: (Indiscernible - overlapping
11 speakers) salmon.
12 DR. JOHNSON: (Indiscernible) salmon.
13 Q You were also asked a question or two about the
14 April 14/15 workshop that DFO scientists had.
15 What was the purpose of that workshop?
16 DR. JOHNSON: Purpose of the workshop, in my opinion,
17 was to basically get all of the people within DFO
18 around the table to talk about what they've been
19 doing with respect to learning more about declines
20 of Fraser River sockeye salmon. So it was an
21 opportunity for people to get together to discuss
22 the results that they've obtained and possibly to
23 even generate new hypotheses and to see how our
24 view had changed from the subsequent meeting that
25 we held about a year earlier. If it had, then how
26 our view, whether it was still in alignment with
27 the workshop that was held by the Pacific Salmon
28 group. I can't remember.
29 Q Pacific Salmon Commission?
30 DR. JOHNSON: Pacific Salmon Commission workshop.
31 Q All right. And when you say "people", are you
32 referring to scientists?
33 DR. JOHNSON: Yes, it was scientists.
34 Q All right. Was justice counsel there as an
35 observer or a participant?
36 DR. JOHNSON: Justice counsel was there as an observer.
37 Q Then you were asked a question by, I think, Mr.
38 Leadem about knowledge on sea lice. And the
39 question was put to you as to whether Dr. Jones
40 was the expert in DFO and you answered by saying
41 that Dr. Jones is doing some lab work and you're
42 doing some fieldwork and that is in conjunction
43 with each other. Are you someone who is
44 knowledgeable on sea lice?
45 DR. JOHNSON: I am someone who is knowledgeable on sea
46 lice.
47 Q And do you consider yourself to be an expert in

1 that area?

2 DR. JOHNSON: I'm an expert on sea lice especially
3 their interactions with hosts.

4 Q And then finally, you were asked some questions
5 quite a while back about Mr. Price's paper and you
6 made some comments about his paper. Are you
7 working on a paper yourself further to Mr. Price's
8 paper?

9 DR. JOHNSON: We have discussed producing a paper in
10 response to the two papers by Mr. Price. However,
11 due to a large work commitment and things related
12 to the Cohen Commission, I haven't gotten very far
13 in producing that document.

14 Q All right. If it were to proceed, what is it
15 that's prompting you to write a paper on Mr.
16 Price's papers?

17 DR. JOHNSON: A large amount of it comes from those
18 discrepancies that I felt and the fact that I felt
19 that there was a large body of literature that was
20 simply not discussed in those papers.

21 Q Is that usual or unusual for a scientist to feel
22 compelled to at least consider writing a response
23 paper to someone else's paper?

24 DR. JOHNSON: I would think that some people probably
25 do that frequently. This is the only time that
26 I've ever contemplated writing a response paper to
27 somebody else's paper.

28 MR. TAYLOR: All right. Thank you.

29 MR. MARTLAND: I have two very brief areas, Mr.
30 Commissioner, if I may? And I'll ask Mr. Lunn to
31 bring up 1499, Exhibit 1499, for the second and
32 I'll begin with the first.

33
34 RE-EXAMINATION BY MR. MARTLAND:

35
36 Q Dr. Kent, Mr. McDade in his questions that drew
37 your attention to some fish health databases and
38 asked in the preparation of your technical report
39 whether you had incorporated a review of those.
40 You can ignore what's on the screen for this
41 question. In terms of the timing of the report
42 that you prepared for the Commission, we can put
43 together dates in due course. But is it right to
44 say that your draft report was due to the
45 Commission? Do you have any memory of that vis-à-
46 vis the holidays last year in December of 2010?

47 DR. KENT: Yeah, we had a workshop. I believe that was

1 in early December. And then the draft of the
2 report was due, I think, six weeks later. That
3 would be in January, I believe; is that correct?
4 Q Was that the final date was the end of January and
5 the draft report mid-December? Does that sound
6 right, if I suggest those dates to you?
7 DR. KENT: That sounds right.
8 Q Do you know about the Commissioner's final ruling,
9 which was also early or mid-December or the timing
10 of the production of data? Do you know about the
11 timing of that process?
12 DR. KENT: No.
13 Q Did you prepare your report without that data and
14 not looking to incorporate that data?
15 DR. KENT: Which data are you referring to?
16 Q I'm talking about the databases that were
17 produced.
18 DR. KENT: Oh, that we were going through, yes. I
19 basically prepared my report based on my
20 literature review and data that were a large
21 number of grey literature documents that were
22 provided to me by the Cohen Commission. And I
23 don't recall seeing those at that time in late
24 December/early January when I was finalizing the
25 report.
26 Q And the Project 5 reports came some months or many
27 months after yours; is that your understanding?
28 DR. KENT: That's my understanding.
29 Q Dr. Johnson, have a look, please, at the Exhibit
30 1499. And my question is whether you have
31 awareness one way or the other as to whether First
32 Nations were involved in developing the research
33 agenda or working on this project?
34 DR. JOHNSON: This project is a laboratory-based
35 susceptibility studies, which is part of the
36 larger PARR projects that we have funded. And
37 First Nations were not consulted in the
38 development of this project.
39 MR. MARTLAND: Mr. Commissioner, I have no further
40 questions. I just would like to extend my
41 appreciation to all counsel for their cooperation
42 in respecting our time and concluding this panel
43 in the two days.
44 THE COMMISSIONER: Yes, I, too, would like to express
45 appreciation to all counsel and particularly
46 express appreciation to the members of this panel
47 for attending the hearing and for cooperating and

1 providing your answers with counsel. Thank you
2 very much. We'll adjourn then until ten o'clock
3 tomorrow morning. Thank you, Mr. Martland.
4 THE REGISTRAR: The hearing is now adjourned till ten
5 o'clock tomorrow morning.
6

7 (PROCEEDINGS ADJOURNED TO AUGUST 24, 2011, AT
8 10:00 A.M.)
9

10
11
12 I HEREBY CERTIFY the foregoing to be a
13 true and accurate transcript of the
14 evidence recorded on a sound recording
15 apparatus, transcribed to the best of my
16 skill and ability, and in accordance
17 with applicable standards.
18

19
20
21 _____
22 Diane Rochfort
23

24 I HEREBY CERTIFY the foregoing to be a
25 true and accurate transcript of the
26 evidence recorded on a sound recording
27 apparatus, transcribed to the best of my
28 skill and ability, and in accordance
29 with applicable standards.
30

31
32
33 _____
34 Pat Neumann
35

36 I HEREBY CERTIFY the foregoing to be a
37 true and accurate transcript of the
38 evidence recorded on a sound recording
39 apparatus, transcribed to the best of my
40 skill and ability, and in accordance
41 with applicable standards.
42

43
44
45 _____
46 Karen Hefferland
47

I HEREBY CERTIFY the foregoing to be a true and accurate transcript of the evidence recorded on a sound recording apparatus, transcribed to the best of my skill and ability, and in accordance with applicable standards.

Karen Acaster

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47