

Commission of Inquiry into the Decline of  
Sockeye Salmon in the Fraser River



Commission d'enquête sur le déclin des  
populations de saumon rouge du fleuve Fraser

## Public Hearings

## Audience publique

**Commissioner**

L'Honorable juge /  
The Honourable Justice  
Bruce Cohen

**Commissaire**

**Held at:**

Room 801  
Federal Courthouse  
701 West Georgia Street  
Vancouver, B.C.

Monday, September 19, 2011

**Tenue à :**

Salle 801  
Cour fédérale  
701, rue West Georgia  
Vancouver (C.-B.)

le lundi 19 septembre 2011



### Errata for the Transcript of Hearings on September 19, 2011

Page	Line	Error	Correction
ii	--	Brock Martland	Wendy Baker, Q.C.
75	4	mimed	mined
85	28	man	many

## APPEARANCES / COMPARUTIONS

Brock Martland Maia Tsurumi	Associate Commission Counsel Junior Commission Counsel
Tim Timberg Charles Fugere	Government of Canada ("CAN")
Clifton Prowse, Q.C. Tara Callan	Province of British Columbia ("BCPROV")
No appearance	Pacific Salmon Commission ("PSC")
No appearance	B.C. Public Service Alliance of Canada Union of Environment Workers B.C. ("BCPSAC")
No appearance	Rio Tinto Alcan Inc. ("RTAI")
Alan Blair Shane Hopkins-Utter	B.C. Salmon Farmers Association ("BCSFA")
No appearance	Seafood Producers Association of B.C. ("SPABC")
Gregory McDade, Q.C.	Aquaculture Coalition: Alexandra Morton; Raincoast Research Society; Pacific Coast Wild Salmon Society ("AQUA")
Tim Leadem, Q.C.	Conservation Coalition: Coastal Alliance for Aquaculture Reform Fraser Riverkeeper Society; Georgia Strait Alliance; Raincoast Conservation Foundation; Watershed Watch Salmon Society; Mr. Otto Langer; David Suzuki Foundation ("CONSERV")
Katrina Pacey	Area D Salmon Gillnet Association; Area B Harvest Committee (Seine) ("GILLFSC")

**APPEARANCES / COMPARUTIONS, cont'd.**

Phil Eidsvik	Southern Area E Gillnetters Assn. B.C. Fisheries Survival Coalition ("SGAHC")
Chris Harvey, Q.C.	West Coast Trollers Area G Association; United Fishermen and Allied Workers' Union ("TWCTUFA")
Keith Lowes	B.C. Wildlife Federation; B.C. Federation of Drift Fishers ("WFFDF")
No appearance	Maa-nulth Treaty Society; Tsawwassen First Nation; Musqueam First Nation ("MTM")
John Gailus	Western Central Coast Salish First Nations: Cowichan Tribes and Chemainus First Nation Hwlitsum First Nation and Penelakut Tribe Te'mexw Treaty Association ("WCCSFN")
Brenda Gaertner Crystal Reeves	First Nations Coalition: First Nations Fisheries Council; Aboriginal Caucus of the Fraser River; Aboriginal Fisheries Secretariat; Fraser Valley Aboriginal Fisheries Society; Northern Shuswap Tribal Council; Chehalis Indian Band; Secwepemc Fisheries Commission of the Shuswap Nation Tribal Council; Upper Fraser Fisheries Conservation Alliance; Other Douglas Treaty First Nations who applied together (the Snuneymuxw, Tsartlip and Tsawout); Adams Lake Indian Band; Carrier Sekani Tribal Council; Council of Haida Nation ("FNC")
No appearance	Métis Nation British Columbia ("MNBC")

**APPEARANCES / COMPARUTIONS, cont'd.**

Tim Dickson	Sto:lo Tribal Council Cheam Indian Band ("STCCIB")
No appearance	Laich-kwil-tach Treaty Society Chief Harold Sewid, Aboriginal Aquaculture Association ("LJHAH")
No appearance	Musgamagw Tsawataineuk Tribal Council ("MTTC")
No appearance	Heiltsuk Tribal Council ("HTC")

**TABLE OF CONTENTS / TABLE DES MATIÈRES**

	PAGE
DAVID MARMOREK	
In chief on qualifications by Ms. Baker	3
In chief by Ms. Baker	7/32
Cross-exam by Mr. Timberg	41/56
Cross-exam by Mr. Prowse	56
Cross-exam by Mr. Hopkins-Utter	65
Cross-exam by Mr. McDade	74
Cross-exam by Mr. Leadem	87
Questions by the Commissioner	98

**EXHIBITS / PIECES**

<u>No.</u>	<u>Description</u>	<u>Page</u>
1892	Welch and Parsons, d(13)C-d(15)N Values as Indicators of Trophic Position and Competitive Overlap for Pacific Salmon, 1993	1
1893	Blackbourn, Sea Surface Temperature and the Pre-Season Prediction of Return Timing in FRSS, 1987	1
1894	MacKenzie, et al, Locations of Marine Animals Revealed by Carbon Isotopes, 2011 [Scientific Reports]	2
1895	Email from DOJ (Grande-McNeill) to Commission re Information Request of S DiFranco, with Attached Chart "Cohen Enquiries Recoveries 2006 to 2011," Sep 9 2011	2
1896	Marmorek et al, Cohen Commission Technical Report 6 - FRSS: Data Synthesis and Cumulative Impacts, Apr 2011	3
1897	Marmorek et al, Errata Sheet for Exh 1896, Cohen Commission Technical Report 6, Sep 13 2011	3
1898	<i>Curriculum vitae</i> of Darcy Pickard	6
1899	<i>Curriculum vitae</i> of Liz Martell	6
1900	<i>Curriculum vitae</i> of Clint Alexander	6
1901	<i>Curriculum vitae</i> of Lorne Greig	7
1902	<i>Curriculum vitae</i> of Carl Schwarz	7
1903	Influence of river conditions during seaward migration and ocean conditions on survival rates of Snake River Chinook salmon and steelhead, by C.E. Petrosky and H.A. Schaller	47
1904	Addressing Cumulative Environmental Effects Under the <b>Canadian Environmental Assessment Act</b>	58
1905	Akaike-type Criteria and the Reliability of Inference: Model Selection Versus Statistical Model Specification, by Aris Spanos	69

Vancouver, B.C./Vancouver  
(C.-B.)  
September 19, 2011/le 19  
septembre 2011

1  
2  
3  
4  
5  
6 THE REGISTRAR: The hearing is now resumed.

7 MS. BAKER: Thank you. Good morning, Mr. Commissioner.  
8 Today we'll be dealing with Technical Report  
9 number 6 that came out of impact assessment with  
10 David Marmorek.

11 Before we get started, there's a couple of  
12 housekeeping matters that are outstanding. In the  
13 July marine hearings, Dr. Tim Parson was a witness  
14 and a number of documents were referred to by him.  
15 Ms. Gaertner asked him to produce those articles  
16 to us over the course of the break, which was  
17 done, and that was circulated to all parties just  
18 after September 1 when it was sent to us. So I'd  
19 like those three articles now marked as exhibits.

20 The first one would be something that I can't  
21 even pronounce. "Scientific Values as Indicators  
22 of Trophic Position and Competitive Overlap for  
23 Pacific Salmon", which is an article by Welch and  
24 Parsons in 1993. That would be the first exhibit.

25 THE REGISTRAR: It will be marked as Exhibit 1892.

26  
27 EXHIBIT 1892: Welch and Parsons, d(13)C-  
28 d(15)N Values as Indicators of Trophic  
29 Position and Competitive Overlap for Pacific  
30 Salmon, 1993

31  
32 MS. BAKER: Thank you. And the next article is "Sea  
33 Surface Temperature and the Pre-Season Prediction  
34 of Return Timing in Fraser River Sockeye Salmon,"  
35 an article by Blackburn. That's it.

36 THE REGISTRAR: Exhibit 1893:

37  
38 EXHIBIT 1893: Blackburn, Sea Surface  
39 Temperature and the Pre-Season Prediction of  
40 Return Timing in FRSS, 1987

41  
42 MS. BAKER: And the last one is "Locations of Marine  
43 Animals Revealed by Carbon Isotopes," an article  
44 MacKenzie Palmer et al." Sorry, I don't see the  
45 year.

46 THE REGISTRAR: Exhibit 1894.



1 EXHIBIT 1894: MacKenzie, et al, Locations of  
2 Marine Animals Revealed by Carbon Isotopes,  
3 2011 [Scientific Reports]  
4

5 MS. BAKER: Thank you. And then coming out of the  
6 marine hearings in August, a request was made of  
7 Sergio di Franco by Mr. Rosenbloom which was  
8 followed up in writing and circulated to all  
9 parties as well. The response from Canada is in  
10 an email to me and Ms. Tsurumi, and it has some  
11 text provided by Mr. Di Franco as well as a table  
12 of figures which is attached to the email, and  
13 that would be, once it's pulled up, could be  
14 marked as the next exhibit.

15 THE REGISTRAR: Exhibit 1895.

16 MS. BAKER: I believe we're still waiting to get it on  
17 the screen.  
18

19 EXHIBIT 1895: Email from DOJ (Grande-  
20 McNeill) to Commission re Information Request  
21 of S DiFranco, with Attached Chart "Cohen  
22 Enquiries Recoveries 2006 to 2011," Sep 9  
23 2011  
24

25 MS. BAKER: There, and then there should be a table  
26 behind as well, yes. Thank you.

27 So we have today --

28 THE COMMISSIONER: Just before you get underway, Ms.  
29 Baker, I just wanted to welcome to the hearing  
30 room a group of students, I think perhaps 30 in  
31 number, who are here from Simon Fraser University,  
32 and they are students in the resource and  
33 environmental management faculty, so we welcome  
34 them here today. Thank you very much.

35 MS. BAKER: Thank you. Our witness today is David  
36 Marmorek with ESSA Technologies and I'd like to  
37 have him sworn, please.

38 THE REGISTRAR: Good morning, sir. If you could just  
39 turn on your microphone, please. Thank you.  
40

41 DAVID MARMOREK, Affirmed.  
42

43 THE REGISTRAR: Would you state your name, please?

44 A David Marmorek.

45 THE REGISTRAR: Thank you. Counsel?

46 MS. BAKER: Thank you.  
47

3  
David Marmorek  
In chief on qualifications by Ms. Baker

1 EXAMINATION IN CHIEF ON QUALIFICATIONS BY MS. BAKER:  
2

3 Q Your company and you are the lead author of  
4 Technical Report 6, Fraser River Sockeye Salmon,  
5 Data Synthesis and Cumulative Impacts?

6 A Yes.

7 MS. BAKER: Thank you. Could I have that marked as the  
8 next exhibit?

9 THE REGISTRAR: Exhibit 1896.

10

11 EXHIBIT 1896: Marmorek et al, Cohen  
12 Commission Technical Report 6 - FRSS: Data  
13 Synthesis and Cumulative Impacts, Apr 2011  
14

15 MS. BAKER: Thank you.

16 Q And there was an addendum done to this report  
17 which has actually already been marked as an  
18 exhibit in these hearings. It's been marked as  
19 Exhibit 1575 if that could just be brought up.  
20 Thank you.

21 That's the addendum that was prepared?

22 A Yes.

23 Q Thank you. And lastly, you prepared an errata  
24 sheet on September 13 to correct a few  
25 typographical errors and clarify a number of  
26 things in the report. It's a one-page document on  
27 the screen now. Do you see that?

28 A Yes.

29 Q Thank you. And that's the errata sheet you  
30 prepared?

31 A Yes.

32 MS. BAKER: Thank you. I'll have that marked, please.

33 THE REGISTRAR: Exhibit 1897.

34

35 EXHIBIT 1897: Marmorek et al, Errata Sheet  
36 for Exh 1896, Cohen Commission Technical  
37 Report 6, Sep 13 2011  
38

39 MS. BAKER: Mr. Commissioner, I would like to go over a  
40 little bit of the background of the witness, but I  
41 have also previously circulated the areas of  
42 expertise I'd like to have the witness qualified  
43 in. I circulated this to all parties in advance,  
44 and I think I've given a copy of this to you as  
45 well so you can follow along. The areas of  
46 expertise I'd like to have him qualified in are  
47 aquatic ecology, including the effects of human

- 1 activities on aquatic ecosystems, fish habitats  
2 and fish populations, environmental impact and  
3 ecological risk assessment, adaptive management,  
4 experimental design, decision analysis and  
5 modelling, and technical facilitation of  
6 interdisciplinary scientific workshops.
- 7 Q Now, just to review some of your background, you  
8 are an aquatic ecologist and you're the president  
9 of ESSA Technologies?
- 10 A Yes.
- 11 Q And you're also an adjunct professor at the School  
12 of Resource and Environmental Management at Simon  
13 Fraser University?
- 14 A Yes.
- 15 MS. BAKER: Sorry, Mr. Marmorek's c.v. has already been  
16 marked in these proceedings, and I'll just have it  
17 pulled up. It's Exhibit 566, just to follow  
18 along. Mr. Marmorek's c.v. was marked in the  
19 course of the Technical Report number 3 hearings.
- 20 Q Now, you have spent a number of decades working in  
21 areas like simulation modelling, ecological risk  
22 assessment; is that right?
- 23 A Yes.
- 24 Q Aquatic ecology?
- 25 A Yes.
- 26 Q Experimental design, statistical analysis?
- 27 A Yup.
- 28 Q Integration of large-scale research and monitoring  
29 programs?
- 30 A Yes.
- 31 Q Adaptive management and decision analysis?
- 32 A Yes.
- 33 Q All right. And you've also applied some of those  
34 skills working with humans and facilitation and  
35 team leadership; is that right?
- 36 A That's right.
- 37 Q Okay. I'd like to ask you a little bit about some  
38 of your past experience. I'm not going to spend  
39 too much time on it, it's written in the c.v., but  
40 just in terms of the work that you've done can you  
41 talk to us a little bit about the work you've done  
42 in the Columbia River and the PATH process there?
- 43 A Sure. Starting about 1993, I was asked to  
44 facilitate comparisons amongst different  
45 simulation models that were being used to forecast  
46 the survival of endangered chinook salmon, both in  
47 the river and over their entire lifecycle. And

1 that work sort of morphed into something called  
2 PATH, Plan for Analyzing and Testing Hypotheses  
3 which involved about 12 agencies over about six  
4 years looking at the question of whether it was  
5 better to barge salmon down the Columbia River  
6 past the Snake dams and Columbia River dams, eight  
7 of them, or whether it was better to breach the  
8 four Snake River dams. So that was a very  
9 controversial topic involving fairly adversarial  
10 circumstances.

11 Our team from ESSA basically led both the  
12 technical facilitation of that as well as  
13 integration of models and publication of various  
14 results which were extensively peer-reviewed by  
15 that inter-agency group as well as reviewers  
16 before they were published in journals.

17 Q Right. And have you done any work in the Fraser  
18 River basin?

19 A Yes. Going back to the times of the green plan in  
20 the early 1990s, we looked at the fate and effects  
21 of pulp mill effluents, did various work on the  
22 Fraser as part of the State of Environment Report  
23 that -- B.C.'s first State of the Environment  
24 Report in 1993.

25 Going back even earlier, in the 1980s we  
26 looked at various harvest management questions,  
27 return of Fraser River stocks for in-season  
28 management, and more recently, of course, worked  
29 with the Pacific Salmon Commission on the Fraser  
30 sockeye decline last year in June 2010.

31 Q Thank you. And you've of course authored numerous  
32 peer-reviewed publications; is that right?

33 A Yes, that's right. They're listed in the c.v.

34 Q That's right, pages of them, and a number, over  
35 100, I think, technical reports as well.

36 A Yes.

37 MS. BAKER: Mr. Commissioner, I asked my friends to  
38 advise me if they had any difficulties with the  
39 expertise that I proposed to have him qualified in  
40 and I have heard nothing from them, so I propose  
41 that he be qualified in those areas.

42 THE COMMISSIONER: Yes. Thank you, Ms. Baker.

43 MS. BAKER: Thank you. And the report that's now  
44 marked as Exhibit 1896, the Technical Report 6,  
45 had a number of different authors involved. Some  
46 of them have already had their c.v.'s marked in  
47 these proceedings. Those would be, just for the

6

David Marmorek

In chief on qualifications by Ms. Baker

1 record, Marc Nelitz --

2 MS. TSURUMI: I don't see him as an author on that.

3 A Katie.

4 MS. BAKER: Anyway, sorry, Katherine Bryan. Bryan's  
5 c.v. is Exhibit 564. And Katherine Wieckowski,  
6 her c.v. is Exhibit 570.

7 We have a number of other authors on this  
8 report. Our practice has been to mark the c.v.'s  
9 of the authors in these proceedings, so I'll do  
10 that now. The first one would be Darcy Pickard,  
11 if that could be pulled up. Thank you.

12 Q Now, this is the c.v. of Darcy Pickard who worked  
13 on this report with you?

14 A Yes.

15 MS. BAKER: I'll have that marked, please.

16 THE REGISTRAR: Exhibit 1989:

17

18 EXHIBIT 1898: *Curriculum vitae* of Darcy  
19 Pickard

20

21 MS. BAKER: Thank you.

22 Q The next one would be Liz Martell, and this is  
23 similarly the c.v.?

24 A Yes.

25 MS. BAKER: Thank you. Have that marked, please.

26 THE REGISTRAR: Exhibit 1899.

27

28 EXHIBIT 1899: *Curriculum vitae* of Liz  
29 Martell

30

31 MS. BAKER:

32 Q The next one would be Clint Alexander. Again...?

33 A Yes.

34 MS. BAKER: Thank you. Have that marked, please.

35 THE REGISTRAR: Exhibit 1900.

36

37 EXHIBIT 1900: *Curriculum vitae* of Clint  
38 Alexander

39

40 MS. BAKER: Thank you.

41 Q Lorne Greig?

42 A Yeah, it's Gregg (phonetic), yes.

43 Q Greig, sorry. This is his c.v.?

44 A Yes.

45 MS. BAKER: Thank you. I'll have that marked, please.

46 THE REGISTRAR: Exhibit 1901.

47

7  
David Marmorek  
In chief by Ms. Baker

1 EXHIBIT 1901: *Curriculum vitae* of Lorne  
2 Greig  
3

4 MS. BAKER: And the last one is Carl Schwarz.

5 A Yes.

6 MS. BAKER: Thank you.

7 THE REGISTRAR: Exhibit 1902.  
8

9 EXHIBIT 1902: *Curriculum vitae* of Carl  
10 Schwarz  
11

12 EXAMINATION IN CHIEF BY MS. BAKER:  
13

14 Q I'd just like to have you give us an overview of  
15 the steps or the components, I guess, that you  
16 took in creating the report that's now marked as  
17 Exhibit 1896 if you can just describe, in a  
18 summary way, and we'll get into it in a bit more  
19 detail, but the components or steps that you took  
20 in creating the report and coming to the  
21 conclusions you came to.

22 A So basically seven steps. So we first developed  
23 the approach that we were going to use for the  
24 qualitative and quantitative analysis of the  
25 evidence. Then we had a workshop on November 30th  
26 and December 1st of last year with about 30  
27 people, both authors and reviewers of the Cohen  
28 Commission reports.

29 The third step was getting as much of the  
30 data as we could from those authors on the various  
31 potential stressors affecting sockeye as well as  
32 the productivity data, and organizing that data  
33 into a relational database for further analysis.

34 The fourth step was doing a retrospective  
35 ecological risk assessment or cumulative impact  
36 assessment based on the Cohen Commission Technical  
37 Reports that were relevant to that, and additional  
38 evidence from the PSC report on sockeye decline.

39 The fifth step was the quantitative  
40 statistical analysis which was in support of that  
41 synthesis of evidence looking at alternative  
42 hypotheses about what sets of stressors might have  
43 affected which life history stages and ultimately  
44 overall lifecycle productivity.

45 Then we wrote the technical report and  
46 revised it in response to the fairly extensive  
47 reviews, and then the last step was the addendum

1 on aquaculture that you just mentioned earlier.

2 Q Okay. And can you identify for us what your key  
3 conclusions were as a result of this work?

4 A Sure. So the first is that before attributing  
5 causality, you need to look at the overall pattern  
6 of change in sockeye productivity within both  
7 Fraser and non-Fraser stocks. In section 4.1 in  
8 our report summarizes the work from Peterman and  
9 Dorner and others, Skip McKinnell and so on, about  
10 what that pattern is. Because that's I think the  
11 first conclusion.

12 The second one is in terms of the primary  
13 factors responsible for the long-term declines in  
14 overall Fraser sockeye productivity and the 2009  
15 low returns. So we concluded, first of all, that  
16 marine conditions interacting with climate change  
17 during the coastal migration stage were the likely  
18 primary factors for the long-term decline over the  
19 last 20 years in Fraser River sockeye  
20 productivity, and that marine conditions were  
21 likely to be the primary factor responsible for  
22 the poor returns in 2009 in both the Strait of  
23 Georgia and Queen Charlotte Sound.

24 With respect to the returning run of spawners  
25 from the mouth of the Fraser back to the spawning  
26 ground, climate change and en route mortality has  
27 definitely affected harvest and escapement, but  
28 not productivity measured as recruits-per-spawner,  
29 because that recruitment already includes harvest  
30 and en route mortality. It's basically escapement  
31 plus harvest plus en route mortality. So that did  
32 not affect the overall trends in sockeye  
33 productivity.

34 Other possible primary factors in the  
35 productivity declines include predation on adult  
36 sockeye as they come back to the mouth of the  
37 Fraser and climate change in the early life  
38 history stage from egg to smolt.

39 We were not able to draw any conclusion on  
40 diseases because of lack of data on the exposure  
41 of Fraser sockeye to diseases, and disease  
42 transmission from aquaculture we concluded was  
43 either unlikely or a possible primary factor  
44 depending on which of the two aquaculture reports  
45 one uses as evidence.

46 All the other factors we considered to be  
47 unlikely to be primary factors responsible for the

1 overall decline in productivity. For example,  
2 many of the freshwater habitat factors, though  
3 they may well have contributed to changes in some  
4 stocks in some years -- so, for example, delayed  
5 density dependence appears to have been  
6 responsible for some declines and productivity in  
7 the Quesnel sockeye stock in some years, but was  
8 not a primary factor responsible for the overall  
9 decline across all the stocks.

10 And finally, there are many gaps in existing  
11 information which make this whole process  
12 difficult, so both assessing the exposure as well  
13 as the correlation of those exposures with changes  
14 in productivity as well as having life-stage  
15 specific survival and condition information. So  
16 that led to some of the recommendations that we  
17 have.

18 Q Okay. Thank you. Now, you've identified that  
19 when you prepared this report, you looked at the  
20 technical reports prepared for the Cohen  
21 Commission, and you also looked at the PSC report  
22 in June of 2010?

23 A Yes, we did.

24 Q Did you do any independent research for this  
25 report?

26 A Well, some of the things that I just mentioned  
27 were independent in the sense that they hadn't  
28 been done before, and we weren't picking them out  
29 of the existing Cohen Commission reports or the  
30 PSC reports. So developing our approach to  
31 retrospective ecological risk assessment, that was  
32 novel, although based on existing published  
33 methods.

34 The quantitative statistical analyses were  
35 new and the synthesis both within and across life  
36 history stages and going across all of these  
37 reports was new research. Our recommendations  
38 really built on what was already in those reports,  
39 but we added some of our own ideas.

40 Q Okay. And did you independently assess the  
41 validity of any of the technical reports prepared  
42 for the Cohen Commission?

43 A No, we didn't 'cause we weren't asked to do that.  
44 We did carefully examine the methods that each of  
45 those authors used, and we looked at the reviews.  
46 It was the responsibility of the reviewers to  
47 review those reports.



10  
David Marmorek  
In chief by Ms. Baker

1 Q The reviewers being the reports that you see  
2 attached at the end of each technical report?  
3 A Right.  
4 Q Okay. And then in the technical reports, if  
5 knowledge gaps were identified, would those  
6 knowledge gaps then carry forward into your  
7 reports? For example, were you asked to address  
8 any knowledge gaps that had been identified in the  
9 technical reports for the Cohen Commission?  
10 A We were not asked to fill them, but in the  
11 sections where we discussed what we need to know  
12 better, and in our final -- I think it's section  
13 5.2 in "Recommendations", we carried forward some  
14 of the recommendations from those reports.  
15 Q And just kind of a background piece, I'd like to  
16 get into the report and have a figure in front of  
17 us as I ask these questions.  
18 MS. BAKER: If you could go to page 10 of the report.  
19 Sorry, it's the actual page number, not the pdf  
20 number, yeah. There.  
21 Q So there's a figure there on the screen which you  
22 call the "Cumulative Stress Model" and I just want  
23 to have that up there, and then ask you the  
24 question. Your report is called "Data Synthesis  
25 and Cumulative Impacts", and in looking at the  
26 cumulative impacts on Fraser River sockeye, were  
27 you able to assess first how the stressors within  
28 each lifecycle combined in a cumulative or in an  
29 interactive way to create the specific impacts on  
30 the fish?  
31 A Actually, if you wouldn't mind, I would prefer to  
32 have page 18 up here to talk about that question.  
33 Q Sure.  
34 A We can come back to this page --  
35 Q Yeah.  
36 A -- later, but I think this is the better figure  
37 for the question you're asking within each life  
38 history stage.  
39 Q All right. So this is figure, just for the  
40 record, 3.3-1.  
41 A Right.  
42 Q And it's called "The conceptual model of the life  
43 history of Fraser River sockeye".  
44 A So this is complicated, though one reviewer  
45 thought it could be more complicated. Anyway,  
46 what we did is we went through all of the  
47 technical reports and looked at the candidate

September 19, 2011

1 stressors affecting each life history stage. Some  
2 of those reports were focused on particular  
3 stressors like contaminants or aquaculture or  
4 disease or predators, whereas some other reports  
5 were focused on particular life history stages, so  
6 there was a report on fresh water which looks at  
7 egg, alevins, fry to parr and smolt, things you  
8 see at the top of figure 3.3-1, and there was a  
9 report on marine conditions which looks at the  
10 post smolt part of that figure.

11 So we basically built up this conceptual  
12 model of the candidate stressors affecting each  
13 life history stage from those reports and from the  
14 workshop, and some of the reports, particularly  
15 those that looked at life history stages, like the  
16 freshwater report and the marine report, also  
17 looked at some of the potential interactions  
18 amongst these factors and how they could combine.

19 Also, the en route mortality report looked at  
20 combined interactions like temperature and  
21 pathogens, disease, harvest, all combining.

22 So the main thing was we tried to list all  
23 the plausible mechanisms and then consider how  
24 those might have interacted, although we don't  
25 actually have very little (sic) hard evidence on  
26 how they interacted.

27 Q One of the things that we were looking at, I  
28 guess, or what the title suggests is that you're  
29 going to be able to actually assess how a stressor  
30 in one life stage could impact those fish as they  
31 moved through their lifecycle. Are you able to do  
32 that, or were you able to do that?

33 A So only in a conceptual way or a theoretical, in  
34 the sense that the data don't really exist to sort  
35 of carry forward from each life history stage the  
36 changes in survival and condition.

37 What we did do, though, is in the analyses we  
38 looked at, particularly the correlational part,  
39 we're looking at factors which occur within each  
40 life history stage and considering how they ended  
41 up affecting the overall lifecycle productivity.  
42 So to the extent that there is some correlation  
43 there -- let's say that as productivity declined,  
44 some particular stressor went up or increased,  
45 you're looking at how an effect, within the life  
46 history stage, basically propagated to affect the  
47 overall life history or the overall lifecycle

1 productivity.

2 Q But what we are not able to do, I take it, is see  
3 how the sort of thousand cuts, the small assaults  
4 on the fish as they go through their lifecycle  
5 maybe have a greater impact than the whole, so you  
6 could see what a primary impact might be, but you  
7 may not be able to understand how a number of  
8 small non-lethal effects would have a cumulative  
9 effect over the life history.

10 A Well, you don't know that very well, except for  
11 those life history stages where you do have some  
12 estimates of survival within it, so, for example,  
13 if you take the freshwater life history stage, we  
14 have nine of 19 Fraser River stocks where we do  
15 have some estimate of survival from spawners to  
16 mostly fry, in a couple of cases smolts, and we  
17 can look at the patterns over time for that life  
18 history stage, and generally speaking, they  
19 haven't gone down. So we can say for that life  
20 history stage that the cumulative effect of all  
21 the factors operating on at least those nine  
22 stocks, at least to the fry stage for seven of  
23 them, doesn't appear to have negatively affected  
24 their survival or caused a decrease in trend and  
25 survival over the last 20 years, which is the  
26 period of interest.

27 So that's the power of having data that  
28 discretely summarizes the survival within each  
29 life history stage, because you are effectively  
30 looking at what's the cumulative effect of all  
31 those things, at least up till that point.

32 Now, there could be a delayed effect, so an  
33 animal may acquire some disease in that stage and  
34 survives fine, there's no trend there, but later  
35 on when it gets out to sea, that could end up  
36 affecting its survival. So again, you can't  
37 really distinguish that unless you have better  
38 estimates of survival at each life history stage.

39 Q All right. And is that something that you are  
40 able to do on the evidence available today, now?

41 A No. Only -- well, to a limited extent, in the  
42 sense that, as I just indicated, we have data --  
43 for example, for the seven stocks, we measure fall  
44 fry. We know the survival from spawners to fall  
45 fry, but then after that, we're basically going  
46 from fall fry all the way back to recruitment.  
47 That's a pretty big box. That includes downstream

1 migration, coastal migration, returns. So we  
2 haven't been able to distinguish that with the  
3 exception of a few acoustic tag studies, but only  
4 for a few stocks here and there.

5 So that's the gap.

6 Q Okay. And that impacts our ability to understand  
7 these cumulative impacts as we're going through  
8 the life cycle.

9 A Yes, I think the key way to think about this is  
10 that the first thing you want to try to determine  
11 -- this is what a lot of the work in the Columbia  
12 River has done with PIT-tagged fish for example --  
13 is in which life history stage is the bottleneck  
14 occurring, and then what are the factors most  
15 correlated with that decrease in survival.

16 You need some contrast, either over space or  
17 time, in those stressors to be able to deduce  
18 which of those factors are most likely.

19 Q And we're not able to do that on Fraser River  
20 sockeye, is that what you're saying?

21 A Well, we've done the best job we can with the data  
22 we have.

23 Q No, I'm just trying to identify that there are a  
24 bunch of data gaps that prevent you --

25 A Yes.

26 Q -- from doing that full analysis.

27 A That's right. You can't do it as well in the  
28 Fraser as you could in the Columbia because of the  
29 data that you don't have.

30 Q Right, okay. Going back to Figure 2.3-1, which is  
31 on page 10, the first one I asked you to look at.

32 A Yeah.

33 Q What does the dotted yellow line indicate in the  
34 A-1 and the A-2?

35 A So this is a conceptual figure. On the Y axis you  
36 have a measure of cumulative stress, and if you  
37 get to 1, you're dead. On the X axis, you have  
38 the different life history stages, so -- and these  
39 are just different pathways that an individual  
40 salmon might follow.

41 So A-1 is a fish that experienced lots of  
42 stress as a fry, perhaps there wasn't enough food  
43 or perhaps there were bad environmental  
44 conditions, so it almost died but not quite, and  
45 then got all the way through to the adult stage  
46 and then experienced some other stress, maybe a  
47 predator, maybe some disease, and died.

1           A-2 represents a situation where this was a  
2 fish that survived that early life history crunch  
3 whereas most of its brethren died, and so there  
4 was less intra-specific or within-species  
5 competition, so as they went down to the mouth of  
6 the Fraser, it actually found there was lots of  
7 food to eat because there were fewer competitors  
8 around, so there's actually a decrease in stress.

9           So you can have these kind of compensatory  
10 effects that occur between life history stages.  
11 They're not always necessarily additive or  
12 cumulative or synergistic as you go through life  
13 history stages.

14 Q       Okay. And you talk about that in your report. At  
15 some point you talked about compensatory reduction  
16 and this is an illustration of what you were  
17 referring to?

18 A       Yes.

19 Q       Okay. Page 22 of your report, you talk about a  
20 weight-of-evidence approach that you use to assess  
21 whether a stressor or a factor made a substantial  
22 contribution to the decline. Can you explain that  
23 weight-of-evidence approach?

24 A       Sure. So this is what we were talking about when  
25 we said we adapted a retrospective ecological risk  
26 assessment framework. So we went through  
27 basically four sets of questions here, and I'll  
28 just read them 'cause it's simpler.

29  
30           Plausible mechanism:

31  
32           Does the proposed causal relationship make  
33 sense logically and scientifically?

34  
35           Is it possible that contaminants could harm fish?  
36 Yes.

37  
38           Is there evidence that sockeye populations  
39 are, or have been, exposed to the causal  
40 factor?

41  
42           So another example there would be we have some  
43 data on contaminants regarding their exposure and  
44 how that's changed over time.

45  
46           Correlation/Consistency:

47

1           Is there evidence for association between  
2           adverse effects in sockeye populations and  
3           presence of the causal factor, either in time  
4           or space?  
5

6           So in the case of contaminants, to continue that  
7           example, in general contaminants did not increase  
8           as sockeye productivity decreased, which suggests  
9           there is not evidence for an association. So  
10          that's the kind of question we were trying to  
11          answer.

12          Then the fourth category is "Other Evidence"  
13          which can be supportive, so things which say,  
14          well, are there certain thresholds which suggest  
15          that the exposure level, when above those  
16          thresholds -- in the case of contaminants, that  
17          report specifically looked at thresholds, hazard  
18          thresholds they called them, for each of the  
19          measured water quality and sediment parameters.

20          Then "Specificity", this is where, if there's  
21          a particular kind of effect in the population  
22          that's caused by exposure to a certain stressor,  
23          so you might say there's a certain kind of  
24          physiological response to a certain contaminant,  
25          and you can then look for that response if you  
26          have those data, or if there have been experiments  
27          on them.

28          "Experiments" in a laboratory or in a field  
29          are also quite helpful in confirming the causes of  
30          things, so the experiments that were done in the  
31          field, for example, on en route mortality by Tony  
32          Farrell and others, where they put fish through a  
33          kind of exercise machine and see at what  
34          temperatures they die, confirms that certain  
35          temperatures kill them.

36          Then "Removal":

37  
38          Has the removal of the stressor led to an  
39          amelioration of the effects in the  
40          population?  
41

42          Well, that relies, really, on some contrast  
43          happening in that stressor.

44          So those are the categories of evidence that  
45          we looked at, and then organized in that decision  
46          tree, Figure 3.3-3.

47          Q       So that's on page 24. As we wait for this to get

1 settled on the screen, can you explain how you  
2 applied that weight-of-evidence approach to this  
3 tree?

4 A Sure. So it basically takes those questions that  
5 I just outlined and goes through asking whether a  
6 given factor or hypothesized stressor passes  
7 various tests. So the first case is, is the  
8 mechanism plausible? In almost all of the cases  
9 in all the reports, the answer to that was yes.  
10 The only exception was in the Noakes report. He  
11 felt it was not plausible that waste from salmon  
12 farms could have an effect.

13 Then we moved to the exposure question, which  
14 I just described, for contaminants, and here we're  
15 addressing are there data by which you can assess  
16 changes in exposure over time or over space? For  
17 many of the hypothesized stressors, we didn't have  
18 exposure data, and I should say for one of them we  
19 had no data, and that was for pathogens. So no  
20 conclusion was possible.

21 So the middle box, there, when it comes to  
22 exposure, we had exposure data but it wasn't  
23 likely that the fish actually got exposed to those  
24 stressors. That would be the case for something  
25 like mining or small hydro where there were so few  
26 mines or small hydro facilities within the Fraser  
27 basin that it's very unlikely that sockeye  
28 spawning and rearing habitats were exposed.

29 So if you get past that set of questions, you  
30 then follow the "Yes" box and you come down to,  
31 okay, so it looks like there was some exposure.  
32 Is there any correlation or consistency? I ran  
33 through an example earlier for contaminants where,  
34 in general, the answer to that was no. There was  
35 not consistency in the change in the stressor and  
36 the change in productivity.

37 Now, in some cases, we got through that box  
38 and down to, yes, it looks like there was some  
39 correlation that was consistent with the  
40 hypothesis, and so we moved down to the bottom box  
41 and "Other Evidence". So that's where the climate  
42 changes and changes in marine condition ended up  
43 being either possible or likely factors for some  
44 of the life history stages. They got all the way  
45 down to the bottom box.

46 The predators, as far as returning adult  
47 salmon, there was some exposure data that looked

1 some predators had increased over time, and so it  
2 looked like it might be possible but there really  
3 weren't good correlation analyses. So we ended up  
4 at the bottom without enough evidence to say  
5 anything other than it was a possible factor.

6 Q When you speak about contaminants in this example,  
7 are you referring to the contaminants that were  
8 measured in Technical Report 2, or are you also  
9 including the contaminants that Don Macdonald  
10 identified as being unmeasured, for example,  
11 endocrine disruptors and emerging contaminants?

12 A Just the ones that were measured. For things that  
13 aren't measured, we would end up in the same place  
14 as disease of no conclusion possible.

15 Q And again, your focus throughout was to look at  
16 primary driving factors; is that right?

17 A That's right. What are the primary factors  
18 responsible for driving the overall long-term  
19 declines in productivity of Fraser River sockeye,  
20 productivity over the last 20 years, and we also  
21 looked at non-Fraser sockeye to help distinguish  
22 amongst those hypotheses.

23 So some of those that are unlikely fell in  
24 the unlikely box to be primary factors, they could  
25 still be contributory factors.

26 Q And the non-Fraser stocks, was that the work in  
27 Technical Report 10?

28 A Yes.

29 Q All right. Now, what does this kind of work tell  
30 us, or this kind of analysis tell us about each  
31 life stage, then?

32 A So again, we're looking at the relative likelihood  
33 of each factor within each life history stage  
34 being a primary driver of the overall declines in  
35 Fraser River sockeye productivity over the last 20  
36 years.

37 Q And this kind of analysis, does it allow you to  
38 tell us anything about the entire lifecycle of the  
39 fish?

40 A So because our primary response variable is the  
41 overall productivity of Fraser River sockeye  
42 across these 19 stocks, we are looking at  
43 correlations between the stressors and overall  
44 lifecycle productivity. So as I said earlier,  
45 it's still our conclusions, within each life  
46 history stage, do in fact still relate to the  
47 overall patterns over the whole lifecycle.



1           As I said earlier also, we do have data for  
2 juvenile survival per spawner for nine of those 19  
3 stocks, so that also provides something about what  
4 happens within the life history cycle.

5       Q     Just to go back in the report, page 14, you talk  
6 about -- there's a section in your report, 3.2,  
7 that's titled, "Unknowns, Unknowables, Knowledge  
8 Gaps and Data Limitations." I know you've talked  
9 a little bit about some of these already, but just  
10 at the bottom of the page, you talk about the  
11 evaluation of alternative hypotheses, and a couple  
12 of principles that underlie that analysis. Can  
13 you explain those principles?

14       A     Sure. Well, the first one is sort of the general  
15 principle of science is that you can only reject  
16 hypotheses or provide evidence against hypotheses.  
17 You can't confirm that they're absolutely true,  
18 and those for which you have less evidence against  
19 them are the ones that become more likely, and the  
20 other part there is that correlation does not  
21 represent causation, and so we have to be very  
22 careful which variables we use to look at  
23 correlational patterns. There has to be a  
24 reasonable plausible mechanism before you include  
25 a given variable in a correlation analysis.

26           Now, if you find out that, as the example I  
27 had earlier on contaminants, that there is not a  
28 correlation, that suggests evidence against that  
29 hypothesis.

30       Q     And in terms of data limitations in the evaluation  
31 process, were those identified by you?

32       A     Yeah, the data limitations -- at the end of each  
33 section, we have things we need to know better,  
34 and then we summarize those in section 5.2.

35       Q     And what are the main, the dominant limitations if  
36 you can, or the ones that sort of stood out for  
37 you as being the most problematic?

38       A     So the first I already mentioned is that when you  
39 want to determine at which life history stage  
40 bottlenecks are occurring, it's really helpful to  
41 have information on survival through each of those  
42 life history stages, and also the condition of  
43 fish for each of those life history stages. Now,  
44 you can't get that perfectly, it would be too  
45 expensive, but we could certainly have more  
46 information than we currently have.

47           Then the second is, as we've just gone

1 through that decision tree figure, there's gaps in  
2 the information on exposures and a shortage of  
3 quantitative analyses of correlation and  
4 consistency, which make it hard to get all the way  
5 down through that tree. You know, an example  
6 would be if we had information on diseases, we  
7 could say a lot more about the likelihood of that  
8 stressor actually being responsible for some of  
9 the declines that we've observed.

10 Q I think that covers off most of the knowledge gap  
11 points I wanted to talk to you about. What about  
12 the unknowables? Page 16 you describe a challenge  
13 as the third challenge as unknowables. What are  
14 you trying to describe there? What's an  
15 unknowable?

16 A So first of all, it's hard to know exactly how a  
17 salmon dies unless it ends up in a fishing net, a  
18 predator's stomach or there's some sort of massive  
19 fish kill like happened in the Cheakamus River a  
20 few years ago with caustic soda spill.

21 So you can really only infer how a fish died  
22 indirectly by looking at strong contrasts across  
23 time, across stocks and across space. So ideally  
24 you have contrast in survival, and we have a lot  
25 of that because productivity trends are varied  
26 over time and over space. So then we can look at  
27 the contrast in stressors, but you're never going  
28 to know ultimately exactly how those fish died.

29 Even if you could measure all the stressors -  
30 and you can't - you're never going to have for all  
31 the coastal migration period full knowledge of all  
32 the predators, competitors, food supply  
33 contaminants, temperature, conditions, exactly.  
34 So that's essentially unknowable. There is  
35 incomplete information. So you're going to have  
36 to make inferences based on contrasts. And it's  
37 really unknowable exactly how all of those  
38 stressors ultimately combine to hit that 1.0  
39 mortality part on the graph we were looking at  
40 earlier.

41 Q Okay. The bulk of your report is where you  
42 examine each of the different life stages, and  
43 you've broken them into five different life  
44 stages. Do you have the same degree of confidence  
45 in your conclusions for each life stage, and if  
46 you don't how would you rank your confidence in  
47 the different life stages?

1 A So on a relative basis, with the highest level of  
2 confidence first and going down to the least -- it  
3 would be interesting, people might debate this,  
4 but I would put from the mouth of the Fraser to  
5 the spawning ground at the highest level of  
6 confidence that got quite accurate estimates of  
7 survival and of a lot of other exposure factors,  
8 temperature and disease.

9 Q That's life stage 5?

10 A Life stage 5. Then next I would put egg to fry  
11 because we do have, as I mentioned, seven stocks  
12 where we have a egg to fry survival and two where  
13 we have egg to smolt survival. We actually have  
14 data there. Then next I would put -- that would  
15 be life stage 1.

16 The next would be life stage 3, the coastal  
17 migration because there are data on catch per unit  
18 effort, for example, in the Strait of Georgia  
19 which is sort of an index of abundance, and kind  
20 of like an index of survival.

21 Then I would put the smolt out-migration  
22 stage, life stage 2. That is from the time smolts  
23 leave a rearing lake to the time they get to the  
24 estuary. We really have very little data on that.  
25 There are a few stocks with acoustic tags, but not  
26 many.

27 Then the last one with the least level of  
28 confidence would be stage 4, which is the growth  
29 in the North Pacific where they're out there for a  
30 couple of years. We really don't know very much  
31 about what they're exposed to and what happened to  
32 them until they start coming home.

33 Q Okay. Thank you. Well, I'm going to go through  
34 your life stages starting with 1 and going to 5,  
35 not in the order of confidence. So the first one  
36 that you refer to, of course, is the egg to fry  
37 which begins at page 39 of your report.

38 You prepared in your errata sheet some  
39 comments on what the other evidence column means  
40 here. So the conclusions are actually on page 48.  
41 I was just identifying where the chapter or  
42 section begins. So if we go to page 48, you've  
43 got the conclusions section which is a table  
44 summarizing some of the points that we'll be  
45 discussing.

46 In your errata you've identified Table 4.2-1  
47 as having some changes, so I'm just wondering if

1           you can relate those errata comments to the table.  
2           It's a bit difficult with only one screen.  
3        A    No, that's fine.  It's probably fine to just leave  
4           the errata up, or I can read from it and you can  
5           put the other table up.  Basically, as we just  
6           talked about on page 22, the other evidence column  
7           refers to the fourth set of questions in that  
8           decision tree.  So when we say "no" in that table  
9           -- if you go back to --  
10       Q    Sorry, can I just --  
11       A    -- page 48.  
12       Q    Thank you.  
13       A    Yeah, oh, that's good.  So when we say "no" that  
14           indicates that the other evidence was not  
15           available for the listed stressor; in other words,  
16           threshold, experiments and that sort of thing.  
17           It's hard to do an experiment on the proportion of  
18           a watershed that's been forested.  You can't fit  
19           it easily into a lab.  So there were not  
20           information available for those stressors where it  
21           says "no".  
22           So "yes" means that other evidence was  
23           available.  For example, on contaminants, water  
24           use, there are some lab studies that have been  
25           done.  There also have been lab studies done  
26           mostly on hatchery fish for diseases, except we  
27           don't have exposure data.  So "yes" means that  
28           other evidence was available for listed stressors  
29           from those reports and provided additional support  
30           for the hypothesized stressor.  
31           "Against" means that other evidence was  
32           available and was contrary to the hypothesized  
33           stressors so, for example, there were detailed  
34           studies done on the Nechako, large hydro, which  
35           indicated that it was not likely to have had a  
36           significant effect on the overall declines in  
37           sockeye over this period of time.  
38           Then "Mixed" means that other evidence were  
39           available, some supporting and some negating the  
40           hypothesized stressor.  
41       Q    Okay, thank you.  And the "Likelihood" column, can  
42           you just explain for us what you're assessing  
43           there?  
44       A    So when we went through that decision tree, this  
45           is the conclusion that we came to regarding -- and  
46           it's in the first sentence of the caption of Table  
47           4.2.1.  It's:

1           ...the relative likelihood that potential  
2           stressors encountered by Fraser River sockeye  
3           salmon during life history stage 1 (including  
4           eggs, alevins, fry, and parr), have  
5           contributed to overall declines in  
6           productivity in recent decades.  
7

8           Q     Okay. And contaminants, as we've already talked  
9           about earlier, when we see contaminants on this  
10          line, that's referring simply to the measured  
11          contaminants that were in Technical Report 2?

12          A     Correct.

13          Q     So it does not include endocrine disruptors or  
14          emerging contaminants.

15          A     Correct. One would come to the conclusion that no  
16          conclusion was possible.

17          Q     Pathogens, I think you've already described that  
18          there. Why do you say there's no assessment of  
19          likelihood is possible for that one?

20          A     Could you repeat that, sorry?

21          Q     For pathogens, why is no conclusion possible for  
22          the likelihood --

23          A     Because there are -- it says "few data", but there  
24          are essentially insufficient data for assessing  
25          the exposure of sockeye to disease, as explained  
26          in Dr. Kent's report.

27          Q     And I think you may have already answered this,  
28          but I'll just -- just for clarity, while these are  
29          not -- where it says that it's under the column  
30          "Likelihood", it says it's "unlikely". That's  
31          unlikely to be a primary driver, but it doesn't  
32          necessarily exclude impacts of those stressors on  
33          other life stages; is that right?

34          A     That's right. They could be contributory factors.

35          Q     And the next life stage is 2, smolt out-migration,  
36          and this is one where you indicated you had a  
37          lower level of confidence in the data, and why is  
38          that?

39          A     Basically because we don't have estimates of  
40          survival from the time that smolts leave a rearing  
41          lake to the time they get to the estuary, so it's  
42          hard to know how that life history stage has  
43          changed over the period of interest.

44          Q     Okay. So the conclusion, you did a similar table  
45          for that life stage like the other ones, and it's  
46          on page 54. Actually before I get to that table,  
47          I had a couple of other comments I wanted to make,

1           sorry.

2           Section 4.3.1 talks about plausible  
3 mechanisms. I think we've reviewed now what that  
4 means. That's on page 50. At the last sentence  
5 there, you talk about:

6  
7           Earlier outmigration could lead to a mismatch  
8 between the arrival of salmon smolts in the  
9 Fraser estuary and Strait of Georgia...

10  
11           You talk about earlier out-migration leading  
12 to a mismatch between the arrival of salmon smolts  
13 in the Fraser estuary and Strait of Georgia. You  
14 talk about earlier out-migration leading to a  
15 mismatch. Is that also possible for late out-  
16 migration as well? As you excluding later out-  
17 migration?

18       A    Both could be a problem. Any mismatch could be a  
19 problem.

20       Q    And I think you have an errata on this page as  
21 well. The last paragraph, 4.3.2, "Exposure of  
22 Fraser River Sockeye to Stressors". The errata  
23 sheet is on the page -- perhaps it's easier if we  
24 just have the text of the document. Thanks.

25           You see in the fourth line down, it says:

26  
27           ...they generally spend only two months in  
28 Stage 2 migrating downstream the ocean...

29  
30       A    Right. That was incorrect, and that was basically  
31 -- that two-month period was meant to describe the  
32 period within which all Fraser stocks might be  
33 migrating actually came from the contaminants  
34 report. So it's obviously much less time that  
35 each stock spends migrating downstream.

36       Q    It's more in the range of seven to ten days?

37       A    Right.

38       Q    Now, sorry, I'm skipping around a little bit. We  
39 looked at the table 4.3-1 which I don't think we  
40 need to spend a lot of time on that. We've  
41 identified, I take it, the same explanation for  
42 other evidence would apply on this table. It's at  
43 page 54 of the report. The same analysis under  
44 the "Likelihood" column, although it's for a  
45 different life stage; is that right?

46       A    Yes.

47       Q    Okay. And same for contaminants. It again

1 relates only to the measured contaminants; is that  
2 right?  
3 A Correct.  
4 Q I'll move to life stage 3. So this is coastal  
5 migration and migration to rearing areas. That  
6 begins on page 55. Plausible mechanisms that you  
7 set out at the bottom of page 55 and over to 56.  
8 We've heard in these hearings evidence of harmful  
9 algal blooms and I don't see that listed under  
10 this section. Is that a plausible mechanism as  
11 well for declines in the coastal migration and  
12 migration to rearing area phase?  
13 A Yes, it is. That was an oversight. We do mention  
14 it later on in section 4.7 of our report, page 88,  
15 but it should have also been mentioned in this  
16 section here.  
17 Q Okay. And then at page 64 of this section, you  
18 look at conditions in the Queen Charlotte Sound  
19 and the Strait of Georgia, and you can compare  
20 them. You did some additional analysis of data in  
21 this section; is that right?  
22 A Yes.  
23 Q Okay. So what was done?  
24 A So maybe you could go to page 67. I'll just look  
25 in my report.  
26 Q Next page.  
27 A Actually, let's look at page 66, I'm sorry. So we  
28 assembled the data that were available for various  
29 time periods for the Strait of Georgia and the  
30 Queen Charlotte Sound, and the reason for doing  
31 that was to explore -- again, this was a  
32 preliminary analysis of which variables were best  
33 correlated with the changes in overall lifecycle  
34 productivity.  
35 We also included information in these  
36 analyses of the spawning abundance of all these  
37 stocks as well.  
38 So the variables that you see listed here,  
39 the last column in Table 4.4-1 shows the start of  
40 the available data. So we used -- for this  
41 analysis, between 1969 and 2004, we used anything  
42 which started before 1969, so that excluded  
43 chlorophyll measurements for both Queen Charlotte  
44 Sound and Strait of Georgia, and also average sea  
45 surface temperatures in Queen Charlotte Sound  
46 which started later, so we included the other  
47 variables, then off you go onto the next page.

1           There you can see the variables that were  
2 included in this time period and the ranking of  
3 the model at the bottom is the relative degree of  
4 support of that model in the data. That is, the  
5 relative ability of each model to explain overall  
6 patterns of changes in sockeye productivity across  
7 all of the -- actually there was 18 stocks we  
8 included here. We left out the Pitt.

9           So the top three models here all had --  
10 actually if you could stay on the top -- the top  
11 three models all had relatively similar level of  
12 support and the top ranked model here was Strait  
13 of Georgia temperature. The second one was Queen  
14 Charlotte Sound salinity and discharge, and the  
15 third were all at the variable. So basically our  
16 conclusion from this is there isn't a clear  
17 difference in the explanatory support between  
18 conditions in those two regions over this time  
19 period.

20 Q       Okay. Were there any shortcomings in the data  
21 available for use there? For example, were there  
22 things missing in the Queen Charlotte Sound data  
23 that you had for the Strait of Georgia data?

24 A       Right. We were missing temperature for the Queen  
25 Charlotte Sound for that analysis and we're  
26 missing chlorophyll for both.

27 Q       Okay. Then the next table down, 4.4-3 is the time  
28 frame 1980 to 2004.

29 A       Correct. And now we have the temperature data.  
30 We still don't have the chlorophyll data. So it's  
31 basically similar to the previous analysis.

32           In this case, the top three models - you can  
33 see the ranking at the bottom there - were all  
34 including Queen Charlotte Sound temperature which  
35 is negatively correlated with sockeye productivity  
36 and salinity which was positively correlated  
37 across all of those top three models.

38           The Strait of Georgia models for this time  
39 period showed relatively little support in that  
40 they were lower ranked models, significantly  
41 lower.

42 Q       Okay. And then you turn the page and you look at  
43 4.4-4 and one page over again is 4.4-5. This is  
44 where you compare the importance of chlorophyll in  
45 the Straight of Georgia and the Queen Charlotte  
46 Sound, the importance of that measurement in  
47 explaining the productivity of Fraser River



1 sockeye from '96 to 2004; is that right?

2 A Yes, that's correct. Now, that's a shorter time  
3 period, and because it's a shorter dataset, we  
4 weren't able to compare the relative importance of  
5 the Queen Charlotte Sound variables and the Strait  
6 of Georgia variables in one analysis. Otherwise,  
7 we'd have too many parameters for the length of  
8 the dataset. So we just looked at them  
9 separately.

10 So within the Queen Charlotte Sound,  
11 chlorophyll was very important. It was in the top  
12 four ranked models and so that was interesting.  
13 Then within the Strait of Georgia, salinity was  
14 most important in the top-ranked Strait of Georgia  
15 models, and that was negatively correlated. So  
16 the more saline it gets, the worse it was within  
17 this time period. Again, it may be different  
18 within a longer time period.

19 Q And then are you familiar with the work Jim Irvine  
20 has done in relation to chlorophyll-a levels in  
21 Queen Charlotte Sound and Chilko productivity?

22 A Yes.

23 Q And how do the conclusions that Jim Irvine has  
24 drawn relate to the work that you're showing us  
25 here on Queen Charlotte Sound and the importance  
26 of chlorophyll.

27 A So they're generally consistent in the overall  
28 conclusions and they're somewhat different in the  
29 details. So I'll just quickly run through some of  
30 the differences. They don't really affect the  
31 consistency, but they're important.

32 So Jim used Queen Charlotte Sound chlorophyll  
33 for the first three weeks of April and related it  
34 to the marine survival of Chilko sockeye only. We  
35 used chlorophyll data for April and May plus other  
36 variables such as discharge, salinity, temperature  
37 and spawners to attempt to predict the overall  
38 productivity for all of the Fraser stocks, not  
39 just the Chilko.

40 So it's interesting that despite the fact the  
41 analysis was structured quite differently, we came  
42 up with similar results. In the six models that  
43 used chlorophyll, the productivity was positively  
44 related to April chlorophyll in all six and it was  
45 positively related to May chlorophyll in five out  
46 of the six models. So it's pretty similar outcome  
47 to Jim, different type of analysis.

1 Q And in this inquiry, we had some reports prepared  
2 by Dr. Beamish and others of his group and they  
3 were entered into evidence in July, in our  
4 hearings in July. Have you read those reports?

5 A Yes.

6 Q All right. And do those reports change any of  
7 your conclusions?

8 A No. The main conclusion that's relevant here is  
9 that marine conditions have a significant effect  
10 -- marine conditions during the coastal migration  
11 stage have a significant effect on declines in  
12 Fraser sockeye productivity, and that's consistent  
13 with what reports by Dr. Beamish and his  
14 colleagues found.

15 Whether that mortality occurs in the Strait  
16 of Georgia which Dr. Beamish is mostly focused on  
17 or in Queen Charlotte Sound, which Dr. McKinnell  
18 focused more on, doesn't affect our conclusion.

19 Q And I'd just like to go to the table for this life  
20 history stage which is similar to the ones we've  
21 already looked at, page 70.

22 MS. BAKER: This is referred to in the errata sheet,  
23 but please don't put the errata sheet up on the  
24 screen. We'll just ask Mr. Marmorek to explain  
25 it.

26 Q You see under the "Correlation and Consistency"  
27 and under the "Other Evidence" column, there's a  
28 little dash which we haven't seen before and no  
29 data. What do those mean?

30 A So if you recall the decision tree that I  
31 described earlier, Figure 3.3-3, the dash means  
32 that we didn't get all the way through that  
33 decision tree to that column, and therefore it  
34 didn't need to be analyzed. So in the first row  
35 of Table 4.4-6 for pathogens, there were not  
36 enough data on exposure to pathogens to merit  
37 going to -- you can't correlate data you don't  
38 have.

39 Q All right. For predators, to contrast with  
40 pathogens, how does the no data column then  
41 compare to the little dash under the pathogens  
42 column? What's the difference?

43 A So we do have some data for some predators in  
44 terms of how they've changed over time, both in  
45 fresh water and in the ocean and have included  
46 those data. However, until we did our own  
47 statistical analyses, there weren't any

1 correlational analyses in Technical Report 4, was  
2 it, I believe, on predators. I can't remember now  
3 which --

4 Q Nine.

5 A Okay. Oh, eight.

6 Q Right.

7 A Technical Report 8. Anyways, Villy Christensen  
8 and Andrew Trites report, that's easier for me to  
9 remember than the number.

10 Q Okay. The "Likelihood" column, we've already  
11 talked about what that means. I just note at the  
12 bottom of the very last line before the heading  
13 4.47, it says:

14  
15 The conclusion is thus that it is very likely  
16 that marine conditions during the coastal  
17 migration life stage contributed to the poor  
18 returns observed in 2009.

19  
20 And the "very likely" is contrasted with the  
21 "Likelihood" column that we see there for marine  
22 conditions where it just says "likely". What's  
23 the distinction you're drawing there?

24 A So in the table, we're talking about the overall  
25 declines in productivity over 20 years, and in  
26 that sentence that you just quoted, we're talking  
27 about what happened to the returns in 2009, for  
28 which there's a lot more evidence.

29 Q And then we see both "marine conditions" and  
30 "climate change" on that table, and we've heard a  
31 lot about both of those. Are they mutually  
32 exclusive or do they actually overlap in some  
33 ways?

34 A They overlap in a lot of ways, and that's  
35 discussed in Technical Report 9, I believe, by  
36 Scott Hinch and Eduardo Martins, so they talk  
37 about how climate change can affect conditions in  
38 the ocean in terms of food availability.

39 Also Technical Report 4 talks about past  
40 changes in marine conditions and temperature, and  
41 looks at future changes in marine temperatures  
42 with climate change and discusses how some of the  
43 extreme past temperature years look a lot like the  
44 expected future years, say in 2080.

45 So what we have is overlap there where  
46 climate change is likely to increase temperatures,  
47 and increased temperatures are likely to be bad

- 1 for food production and changing the kinds of  
2 predators that sockeye are used to, all of which  
3 is not good for Fraser River sockeye.
- 4 Now, for Alaska sockeye, a little increase in  
5 temperature can be a good thing.
- 6 Q Thank you. Now, the next life stage is 4, which  
7 you describe as growth in the North Pacific and  
8 return to Fraser, so where does this life stage  
9 begin, just physically. Is it at the end of Queen  
10 Charlotte Sound?
- 11 A I think, yeah, once the fish get up into the Gulf  
12 of Alaska.
- 13 Q Okay. So up past Hecate Strait?
- 14 A Mm-hmm.
- 15 Q Now, this one would appear to cover two different  
16 areas. There's the coastal area in Alaska but  
17 then also the North Pacific and the return home.  
18 So is that right, first of all?
- 19 A That's correct.
- 20 Q Okay.
- 21 A Until you get to the mouth.
- 22 Q Okay. So is there a difference in the amount of  
23 information that's available to allow an  
24 assessment on the return to the Fraser that's a  
25 return journey versus the growth in the North  
26 Pacific phase of their life, so two different  
27 parts to it.
- 28 A Yes, we tend to have more information once they  
29 get close to shore so, for example, in the report  
30 on page 75, we have the percent of salmon that are  
31 returning by different routes. Like we have the  
32 northern diversion, or -- in the Strait of Juan de  
33 Fuca, and so we get more information primarily  
34 from test fisheries as the salmon get close to  
35 home.
- 36 Q And this is a life stage where you feel you don't  
37 have a lot of confidence, there's not a lot of  
38 data available for you to assess; is that right?
- 39 A Yeah, it's a big blue box.
- 40 Q Okay. Your conclusion box is set out on page 79.  
41 I think we've clarified now what all of the  
42 different marks mean in this box. I won't take  
43 the time to do that.
- 44 But with respect to the different factors set  
45 out there, there's nothing for contaminants. Is  
46 that because the report by Don MacDonald didn't  
47 include marine contaminants?

- 1 A That's correct.
- 2 Q So can we assume by looking at this report that  
3 marine contaminants are a non-issue?
- 4 A No, you can't assume that. It would fall into the  
5 same part of the decision tree as pathogens or  
6 unmeasured contaminants like endocrine disruptors  
7 that you mentioned earlier.
- 8 Q The last stage is the migration back to spawn, and  
9 this stage is the stage you feel you have the most  
10 confidence in the data for; is that right?
- 11 A Correct.
- 12 Q And that begins at page 85. I think there's just  
13 an errata correction we want to make under the  
14 "Conclusions" section. The first line I think  
15 there's a correction you want to make there.
- 16 A Right. We need to replace:  
17  
18 ...life history stage 2 (smolt migration from  
19 rearing habitats to the Fraser Estuary)...
- 20  
21 With:  
22  
23 Life history stage 5 migration back to spawn.  
24
- 25 I was guilty of copying and pasting.
- 26 Q I think we've all fallen victim to that. All  
27 right. Now in this conclusion table which is on  
28 page 86, if we just scroll down, you have a  
29 different conclusion for pathogens than you have  
30 previously. In the previous life histories you've  
31 noted that there was not evidence to support many  
32 of these analyses. But here on the return through  
33 the Fraser, return to the spawning grounds, you  
34 now say that there is some data. What are you  
35 referring to there?
- 36 A So under the other "Evidence" column, as I was  
37 talking about earlier, there have been very  
38 extensive studies by Scott Hinch and Dr. Farrell  
39 and many others on the health of fish as they're  
40 making their way home to spawn, and levels of  
41 disease, physiological condition. And those are  
42 field studies, and they're quite well correlated  
43 with survival measurements from tagged fish,  
44 radio-tagged fish. So there are a lot more data  
45 for that life history stage.
- 46 Q Okay. Then under "Likelihood" column for climate  
47 change, temperatures and en route mortality, you

1 have two conclusions. One says "definitely" and  
2 one says "unlikely" which appear to be radically  
3 opposite. Can you explain what that means?

4 A Yes. So these are very important footnotes. So  
5 if you take the "definitely" first, it has  
6 footnotes B and C there which means harvest and  
7 escapement. So the en route mortality - and  
8 there's graphs in here that were drawn from the  
9 report by Martins and Hinch - shows that en route  
10 mortality has increased over time and has been  
11 very substantial particularly for the Early run  
12 and Late run sockeye.

13 So that affects the number of fish that get  
14 back to the spawning ground, or would, if you had  
15 the same level of harvest, and harvest has been  
16 reduced accounting for the expected en route  
17 mortality. So there's definitely an effect of  
18 climate change and temperatures on both harvest  
19 and escapement.

20 However, as I mentioned earlier, the way in  
21 which recruitment is measured is escapement plus  
22 harvest plus en route mortality. So it's  
23 essentially the number of fish that return to the  
24 Fraser prior to any harvest or prior to any en  
25 route mortality, so that declining productivity  
26 cannot be explained by en route mortality because  
27 en route mortality is already included in it,  
28 already included in recruitment. In fact, as en  
29 route mortality goes up, recruitment would go up.  
30 So it's unlikely to be an explanation of declining  
31 lifecycle productivity.

32 Q And then the addendum, which was earlier marked in  
33 these proceedings as Exhibit 1575, you have a  
34 similar conclusion table in that document, and  
35 that's at page 18 of the report, and it spills  
36 over two pages. There, okay.

37 Now, again, you have two contradictory  
38 notations for disease of salmon farm origin, and  
39 you'll see that on page 19 there. It says  
40 "possible" and "unlikely". Can you explain what  
41 you're talking about there and can they be  
42 reconciled?

43 A So our job here was to look over the work that  
44 Dill and Noakes did and look at what the  
45 implications of their conclusions were for our  
46 overall conclusions in Technical Report 6. It  
47 wasn't our job to try to reconcile them or read

1 the 250 references that they referred to, only 25  
2 of which they looked at in common, by the way.

3 Anyway, so we basically said, well, if you  
4 took Dill's report as evidence, your conclusion  
5 would be that disease from salmon farm origin was  
6 a possible contributor to the overall declines in  
7 sockeye salmon. And if you took Noakes' report,  
8 your conclusion would be that that was unlikely.

9 Q Okay.

10 DR. BAKER: And then just one last figure before the  
11 break. The Figure 3, if you just scroll down, Mr.  
12 Lunn, follows this table.

13 Q What is that indicating to us?

14 A So as it says at the bottom, these are the  
15 mechanisms identified as possible or no conclusion  
16 possible based on Dill, 2011. So greyed out in  
17 this figure are the hypothesized mechanisms that  
18 both authors cumulatively were looking at in terms  
19 of causal pathways by which sea lice waste,  
20 escapees, and disease could potentially affect  
21 sockeye salmon from salmon farms.

22 So the ones that are -- that was the overall  
23 diagram, and then the ones that are greyed out are  
24 the ones which were considered to be unlikely, and  
25 the ones that remain are those that Dill  
26 considered to be possible, whereas Noakes  
27 considered all of those pathways to be unlikely.

28 MS. BAKER: Thank you. Mr. Commissioner, we could take  
29 the break now if that's convenient.

30 THE COMMISSIONER: Yes, thank you.

31 THE REGISTRAR: The hearing will now recess for 15  
32 minutes.

33

34 (PROCEEDINGS ADJOURNED FOR MORNING RECESS)

35 (PROCEEDINGS RECONVENED)

36

37 THE REGISTRAR: Order. The hearing is now resumed.

38 MS. BAKER: Thank you.

39

40 EXAMINATION IN CHIEF BY MS. BAKER, continuing:

41

42 Q The last part of your addendum I want to go to is  
43 the Table 3, which is just following this table  
44 that's on the screen. All right. And this table,  
45 I just want to identify that it replaces Table  
46 4.7-1 that's in the main report.

47 A That's correct.

1 Q Okay. And it is a summary of all of the analyses  
2 that you've done for each life stage, basically  
3 taking the likelihood column and importing it for  
4 each life stage; is that right?

5 A That's correct.

6 Q Okay. And we would like to use the addendum one,  
7 because it includes the fish farm issues?

8 A Yes.

9 Q And that's on the following page, if you just keep  
10 scrolling up. That's the whole table. Okay,  
11 thank you. Now, moving back to the main report,  
12 Table 4.7-2, this is the very last section of your  
13 report, and I'd like you just to explain what --  
14 well, first of all, there's an errata and we might  
15 as well clear that up right away. That's on the  
16 following table. You've got two tables here,  
17 4.7-2 and then 4.7-3. There we go. So there's an  
18 errata correction that you wanted to make on the  
19 first column there, the header?

20 A Yes. So the first two columns state life stage  
21 and the first column should be stressor category  
22 i.e. Cohen Commission technical report.

23 Q Okay. Thank you. Now, with these two tables that  
24 we've just thrown up on the screen with no  
25 explanation yet, what are you actually showing us  
26 here? What was the analysis that was done?

27 A So we're looking at the relative ability of  
28 different combinations of variables to explain the  
29 observed changes in sockeye lifecycle activities,  
30 somewhat similar to the Queen Charlotte  
31 Sound/Strait of Georgia analysis we talked about  
32 previously.

33 So what we did for that is we carefully lined  
34 up all the explanatory factors to match the life  
35 history stages and age structure of each of the  
36 stocks, so, for example, April to August sea  
37 surface temperatures in the Strait of Georgia.  
38 And for the first table we grouped those  
39 explanatory factors by life history stage. If you  
40 could please go back to Table 4.7-2. That's  
41 great. Just to the top. Yeah, so you can see the  
42 column headings there. So we had incubation to  
43 lake rearing, outmigration, coastal migration, and  
44 so on. And the "X's" in the shaded grey cells  
45 here represent the variables that were included in  
46 that model. So M4, for example, coastal  
47 migration, includes Strait of Georgia discharge,



1 and so on down there.

2 And so we were basically curious about which  
3 of the life history stages had the explanatory  
4 factors that were most correlated with the overall  
5 lifecycle productivity, given the data that we  
6 had. And then the following table - you don't  
7 have to go there; we just looked at it - is we  
8 grouped the explanatory factors according to the  
9 technical reports. So each of the technical  
10 reports that were received, so for example, we  
11 would use just the contaminant information, or we  
12 would use just the predator information. Rather  
13 than organizing it by life history stage, we just  
14 organized it by report.

15 Q Okay. And what conclusions did you draw?

16 A So for the table we're looking at here, Table  
17 4.7-2 -- I wonder if there's a better table to  
18 see. I guess that's the best one. Leave it  
19 there, that's fine. So for that table, the three  
20 models with the highest relative level of support  
21 - again, these are relative levels of support -  
22 included the -- the first was the model which  
23 included factors for all of the marine life  
24 history stages. The second was a model with the  
25 factors for the coastal migration stage. And the  
26 third was factors with -- was the life history  
27 stage for the return to the Fraser.

28 So over this time period and the data -- and  
29 give the data that we had available from 1969 to  
30 2001, the marine phase factors appear to have the  
31 best ability to explain the patterns and  
32 productivity. And then, when we looked at the  
33 analysis by the Cohen Commission project, the  
34 model with the highest level of support included  
35 all 34 factors, so basically throwing everything  
36 into the soup. And the factors, when we looked  
37 separately, at the separate reports, the ones  
38 which came next was a model with data for  
39 predators and alternate prey and factors for the  
40 Lower Fraser/Strait of Georgia.

41 And so it was a bit surprising that the best  
42 model would be the one with all the factors,  
43 because the criterion that we're using to assess  
44 the relative level of support, AIC criterion,  
45 penalizes models which have a lot of variables in  
46 it.

47 So overall, the bottom line is that from the

1 lifecycle analysis, the marine phase factors  
2 appear to have the best ability and we generally  
3 -- we conclude that it's best to look at this  
4 using a lifecycle approach rather than a project  
5 approach.

6 Q Okay. And then page 95 of your report, which  
7 follows these tables, just before you say the  
8 relative -- in the paragraph above, The Relative  
9 Importance of Different Stressor Categories, you  
10 state, at about -- the line's nine, so part --  
11 about halfway through that paragraph:

12  
13 The strength of any conclusion that  
14 freshwater life stages are not as important  
15 as marine life stages can only be as strong  
16 as our belief that the assemblage of  
17 variables described above is a reasonably  
18 accurate representation of the freshwater  
19 component of the life history of Fraser River  
20 sockeye salmon.  
21

22 What does that mean?

23 A So all of these results are only as good as the  
24 data that you put into them, and for the  
25 freshwater life history stage, there really  
26 weren't many datasets available within the time we  
27 had and may not be available, period. So, for  
28 example, we had to use air temperatures instead of  
29 lake or stream temperatures as a proxy variable  
30 for freshwater conditions. So ideally, you would  
31 have a lot more data on freshwater conditions.

32 Q So if we accept that the freshwater life history  
33 stages are not as important as marine life stages  
34 in describing the productivity decline, does that  
35 mean that freshwater stressors are having no  
36 impact on productivity?

37 A No, it doesn't mean that. And first of all, you  
38 have to remember this is only one part of what we  
39 did. This quantitative analysis is supplemented  
40 by the main part of the report where we're looking  
41 at all the results for Technical Report 3 by  
42 Nelitz, et al, and Technical Report 12, and  
43 looking at all of that information. So all it  
44 means is that within this particular analysis that  
45 the freshwater indicators we had in our database  
46 were not as strongly correlated as the marine  
47 indicators with changes in lifecycle productivity.

1           One other thing I should point out in passing  
2           is that all of these models included the spawners,  
3           allowing for density-dependent effects in a  
4           Ricker-style model from the parent generation  
5           subsequently to the overall lifecycle  
6           productivity. So you can think of that is that if  
7           there were significant density-dependence, and  
8           there is because the coefficients for spawners are  
9           always negative in all these models, so that's  
10          carried through in the analysis. You can think of  
11          it as a freshwater event, the number of spawners  
12          that has ramifications over the entire lifecycle.

13         Q     And looking at these models that this section is  
14               dealing with, there's a comment by one of the  
15               reviewers, Sean Cox, that there's no indication of  
16               variation in salmon productivity explained by the  
17               alternative models, and he comments that no  
18               r-squared values were provided. So I just wanted  
19               to talk to you a little bit about that. First of  
20               all, what is an r-squared value and how does it  
21               help us understand how well a model explains the  
22               data being assessed?

23         A     So r-squared is also called the coefficient of  
24               determination, so it's the fraction of the total  
25               variability in a dependent variable, and in this  
26               case we mean the total variation in sockeye  
27               productivity log recruits per spawner over all 18  
28               stocks that's explained by the variables that you  
29               include in a given model. So a simpler example  
30               would be you might say well, 70 percent of the  
31               variation in somebody's income, or in people's  
32               income over a sample, is made up by their level of  
33               education and their level of work experience. And  
34               so in that case, r-squared would be .7.

35         Q     Okay. Without those r-squared values, are you  
36               able to say that one model with a certain set of  
37               variables can explain the changes in productivity  
38               better than another model?

39         A     Yes. We can still say that one model has more  
40               support in the data than another model. The AIC  
41               criterion that we use tells you the relative level  
42               of support, which is what we were interested in,  
43               because we were looking in a retrospective way.  
44               It doesn't tell you the total proportion, the  
45               variation in productivity that is explained. And  
46               if we'd had time, we would have included the  
47               r-square in the program that we ran for this. We

1 did an output of the r-squareds for all the -- all  
2 the analysis. We had about three weeks from the  
3 time we got all the data to finish the report. So  
4 it was quite a crunchy time.

5 And so it's a good suggestion that Sean Cox  
6 made, and we could certainly go back later and do  
7 it.

8 Q Okay. Without those r-squared values being  
9 included, what we couldn't say, for example, is  
10 that -- well, we could say, for example, that  
11 Model 10, as you've done, describes -- which looks  
12 at marine variables, that it describes  
13 productivity better than variable -- models that  
14 look at variables in other life stages, but what  
15 we can't do is assess the percentage of the  
16 variation in the data that's actually explained by  
17 Model 10 or by any of the other models; that's  
18 what you're telling us?

19 A Yes, that's correct. I'll just note in passing,  
20 something that -- I looked at the Connors et al  
21 report, and although it was a very different kind  
22 of model, it didn't have as many covariates  
23 included in his long-term analysis, he had  
24 r-squareds around .7. He also included -- sea  
25 surface temperature also included spawners. So  
26 although we haven't calculated it, my suspicion is  
27 that we would have r-squared values in the same  
28 general ballpark.

29 Q Okay. And for the purposes of your analysis,  
30 which, as you said, was a retrospective analysis,  
31 you didn't think that r-squared values were  
32 important to have?

33 A It's not as critical if you're not attempting --  
34 if you're attempting to create a model which you  
35 hope to apply prospectively; that is, to make  
36 predictions in the future, it's not as critical to  
37 have it. There's also some limitations in  
38 r-squared, because the r-squared doesn't take into  
39 account the number of parameters used to fit a  
40 model. There is an adjusted r-squared measure  
41 that does take that into account. So the AIC  
42 measure was, I think, adequate for what the  
43 purposes that we wanted to use, looking  
44 retrospectively.

45 I'll just point out that if you had a set of  
46 models and all of them had the same number of  
47 parameters and you used both r-squared and AIC,

1           it's likely that the rank order of those models  
2           would be similar, because AIC is considering to  
3           what degree the model variables explain the  
4           variation in the data.

5       Q    All right.  But couldn't say that without --  
6           without the r-squared value, you couldn't say that  
7           the marine explains 70 percent --

8       A    Correct.

9       Q    So it could be better than the other ones, but it  
10          could be that the other ones are ones and marine  
11          is a two?

12      A    No, that's right, you don't know the absolute  
13          proportions, yeah.

14      Q    Okay.  Then moving on, I'm running out of time, so  
15          I want to just go quickly through a couple things.  
16          On page 100, Table 4.8-1 sets out other factors  
17          which could potentially contribute, and you've set  
18          them out clearly, but I wonder if harmful algal  
19          blooms should be added to that list?  Sorry, Mr.  
20          Lunn, if you can just keep moving it forward?  
21          Okay, there we are.

22      A    Yes, it should be.

23      Q    Then the last section I'd like to go to are the  
24          conclusions and some of the recommendations that  
25          are set out.  So at page 104, at the top right, at  
26          the -- talking about what happened at the PSC  
27          Panel.  It says:

28  
29                    There was consensus among the group that a  
30                    focused oceanographic and fisheries research  
31                    program targeting the Georgia Strait, Queen  
32                    Charlotte Sound and extending along the  
33                    continental shelf to the Alaska border would  
34                    [useful].  
35

36            Have you given any thinking to who should  
37            participate in such a thing and how it would be  
38            structured or who would be responsible to organize  
39            or fund it?

40      A    So that question wasn't really part of our terms  
41          of reference, but I think the first thing would be  
42          to clearly set out the objectives for the research  
43          groups, so what decisions are you hoping to  
44          inform, what level of accuracy and precision is  
45          required for those decisions, and what's the level  
46          of -- what are the scientific questions that  
47          helped to inform those decisions.  So rather than

1 just, you know, going out and doing a bunch of  
2 research.

3 Logically, I think it would be led by the  
4 federal agencies responsible for Pacific salmon,  
5 so that would include DFO, NOAA Fisheries, Pacific  
6 Salmon Commission - I guess that's an  
7 international agency - and then they would get  
8 data and have participation from a whole bunch of  
9 others, so leading researchers, international  
10 organizations, like PICES, Alaska, Washington,  
11 Oregon, Idaho state fisheries agencies, First  
12 Nations, NGOs, provincial agencies, fish farmers.  
13 But it would be led, I think, by those federal  
14 agencies. That's just my, you know, off-the-cuff  
15 thinking on this.

16 Q And then you also talk about database improvements  
17 being needed and being identified as a problem  
18 among the researchers. What's needed, and how  
19 would it be accomplished?

20 A So I think the first thing is to have excellent  
21 data on Fraser River sockeye and non Fraser River  
22 sockeye productivity and stressors and to know  
23 exactly where those data came from, and then to  
24 design a database that way so that it facilitates  
25 answering the specific questions and making the  
26 specific decisions that I described earlier.

27 Q And who would maintain such a database and fund  
28 the effort?

29 A Logically, I think it would be the same agencies,  
30 the federal agencies that I described earlier.  
31 They're the ones who have the most data and they  
32 would get other datasets from other people.

33 Q All right. And in preparing your report,  
34 Technical Report 6, you actually created a fairly  
35 extensive database; is that right?

36 A Yes.

37 Q And is that database useful for future analysis?

38 A Yes, I think so. It was done for internal use, so  
39 it doesn't have a users guide and all the other  
40 things that one would want to have before it were  
41 made public. And it also would be good to add  
42 some of the stressor variables for the non Fraser  
43 stocks, but I think it's a reasonable start.

44 Q Okay. And then you have a set of recommendations  
45 set out beginning in -- or set out in a table,  
46 Table 5.2-1. It's on page 108, or, sorry, it  
47 begins, and in each of these -- in the column

1 called Comments and recommended research and  
2 monitoring activities, we see various  
3 recommendations being bolded. What is that? Why  
4 are you bolding things? What does that indicate?  
5 A So I think we had, I don't know, was it 24 or  
6 something recommendations, something like that,  
7 and we thought it was important to highlight those  
8 which were relatively more important, recognizing  
9 that the final prioritization is something that  
10 would have to go through a quite extensive process  
11 of thinking about the decisions that need to be  
12 made and inputs to those decisions required,  
13 precision of information for those decisions.  
14 Notwithstanding that, we looked at this and  
15 you see there's two columns there; one on  
16 explanatory importance, and one on relevance to  
17 management actions. So explanatory importance  
18 means what's the relative ability of information  
19 within each of those rows, each of those life  
20 history stages, to explain what's going on. And  
21 relevance to management actions is, well, how much  
22 would that information be used for actually making  
23 decisions on, say, harvest, habitat, hatcheries,  
24 hydro. And so we basically used those columns as  
25 a guideline for bolding certain portions.  
26 So if you go down a little further, to the  
27 section on coastal migration, everything's bolded,  
28 because we have, from our work and from the work  
29 done by the various technical reports, concluded  
30 that that has a -- the coastal migration phase has  
31 a high level of explanatory importance. It's also  
32 highly relevant to management actions.  
33 Q And do you have any suggestions to throw out there  
34 on how to prioritize all these different  
35 recommendations?  
36 A So if you could go, Mr. Lunn, to page 107 down  
37 there, the questions there. So I think I've  
38 already described these, and so in the interests  
39 of time it may be easier for folks to read this  
40 than for me to read it. I think the key things  
41 are, what are the decisions, what are the inputs  
42 to those decisions, and how much information do  
43 you need?  
44 So if you think about preseason forecast, how  
45 much precision do we want to have on that? Do we  
46 want to be able to say, "Well, things are likely  
47 to be relatively poor, average, or relatively

41  
David Marmorek  
In chief by Ms. Baker  
Cross-exam by Mr. Timberg (CAN)

1 good," or do we want to be much more precise than  
2 that? That affects how much information you need.

3 And then it's also sequencing the efforts.  
4 So having certain rules, so sort of contingent  
5 rules, if we learn something then we might need to  
6 do something else. And also, you know, what are  
7 the cost-effective tradeoffs. So, for example,  
8 you need to consider how much budget you have, and  
9 you might not want to sacrifice your in-season  
10 monitoring programs to get better preseason  
11 estimates, for example. So there are tradeoffs  
12 there that have to be carefully considered.

13 MS. BAKER: Thank you. Those are my questions, Mr.  
14 Commissioner. So Canada will be first, and  
15 they've got a 30-minute allocation.

16 MR. TIMBERG: Yes, Mr. Commissioner, it's Tim Timberg,  
17 and Charles Fugère for participant Government of  
18 Canada.

19  
20 CROSS-EXAMINATION BY MR. TIMBERG:

21  
22 Q I'd like to start, Dr. (sic) Marmorek, with your  
23 role as a facilitator at the June 2010 Pacific  
24 Salmon Commission Workshop. And if we could have  
25 Exhibit 73 brought up. Thank you. If you could  
26 just look at the title page there, I note your  
27 name's there under "Prepared by". It says, Dr.  
28 Peterman and then yourself. Can you explain for  
29 us what your role was at the Pacific Salmon  
30 Commission Workshop?

31 A Sure. We were working with both the Pacific  
32 Salmon Commission, Department of Fisheries and  
33 Oceans and NOAA Fisheries, a committee, to design  
34 the workshop and -- so that committee met and  
35 discussed which hypotheses should be included. We  
36 facilitated those discussions prior to the  
37 workshop. We developed some forms, which are  
38 included in this report, for participants to  
39 comment on, evidence they felt was relevant.

40 At the workshop, itself, we served largely as  
41 timekeepers, and subsequent to the workshop the  
42 panel met, led by Randall Peterman, and assembled  
43 the main portions of the report, and we worked  
44 with the Panel and with Dr. Peterman to help pull  
45 all that together. There were various further  
46 conference calls with the Panel on key points that  
47 we helped to facilitate.



1 Q Okay. Thank you. And did you, personally,  
2 contribute any science research, yourself, to the  
3 workshop, or were you just a facilitator?

4 A I wouldn't say "just" a facilitator. Yes, we --

5 Q Fair enough.

6 A We did not present any independent research, and  
7 we worked to integrate the information that was  
8 presented. For example, the table that's in this  
9 report of evidence for and against, I prepared,  
10 which was based entirely on what the Panel had  
11 written, but it was just a summary.

12 Q Okay. Thank you. If we could then turn, to  
13 refresh our memories, we've got, at page 4 of this  
14 document, we've got the nine hypotheses. And the  
15 Panel, at the top of page 5, if we could look at  
16 that top paragraph there, so here this is under  
17 the, I guess the executive summary. It says the  
18 Panel -- I'm just reading from the document:

19  
20 The Panel concluded that the available  
21 evidence for and against each of the nine  
22 hypotheses does **not** point to a single cause  
23 of either the poor adult returns of Fraser  
24 River sockeye in 2009 or the long-term  
25 decrease in returns per spawner.

26  
27 Do you still agree with statement?

28 A Yes, I do.

29 Q Okay. So we're not looking for one -- there's not  
30 one hypotheses out there, then, that explains what  
31 we've been seeing?

32 A That is correct, though I think it's fair to say  
33 that some are more likely than others to be  
34 primary causes.

35 Q Right. Thank you. And then continuing on with  
36 that executive summary, it says:

37  
38 Instead, the evidence suggests that multiple  
39 causal mechanisms very likely operate  
40 simultaneously and that their effects may be  
41 additive multiplicative (i.e. synergistic),  
42 or may tend to offset one another's effects.

43  
44 And do you still agree with that?

45 A Yes, I do.

46 Q Thank you. And if we could then turn back to your  
47 -- and then at page 9, just to refresh our

1 memories, is the Table E-1, where the Pacific  
2 Salmon Commission set out their various  
3 hypotheses. If we could turn, then, to your  
4 report, exhibit -- at page 36, Exhibit 1896.  
5 Sorry, I'm at the last page. It's the last -- the  
6 second-last page of the executive summary. The  
7 pages are not numbered, unfortunately, Mr. Lunn.  
8 It's right at the very beginning. It's a section  
9 that's titled, Recommendations for Research,  
10 Monitoring and Synthesis. There we go.

11 And here I'm just noting that under this  
12 section you start off by saying:

13  
14 Researches at the Cohen Commission workshop  
15 agreed with the [Pacific Salmon Commission]  
16 report,

17  
18 and it goes on, and that's really part of your  
19 conclusion with your report, now, they're  
20 consistent? I guess that's my main question is:  
21 Would you agree that both the Pacific Salmon  
22 Commission report from June 2010 and your paper  
23 have very similar conclusions?

24 A Yes, I would. I think the only distinction is  
25 that we had more information, particularly on non  
26 Fraser stocks, and also had some more information  
27 on marine conditions which slightly changed but  
28 didn't radically change the conclusions.

29 Q Thank you. And the membership at the Pacific  
30 Salmon Commission workshop and the scientists that  
31 worked on the -- your ESSA report, you'll agree  
32 that those are different scientists, despite the  
33 fact that you were at the Pacific Salmon  
34 Commission, the scientists at the Pacific Salmon  
35 Commission were different than the people who  
36 worked on the ESSA report?

37 A Yes, they are different. However, I think it's  
38 important to note that our report is a synthesis  
39 of the technical reports done by all of the Cohen  
40 Commission researchers. So I actually think of  
41 our team is including all the people who worked on  
42 those reports as well.

43 Q Right. And so you'll agree that despite the  
44 different scientists that were involved, they came  
45 to a very similar outcome?

46 A Yes. I think there's, as you would expect them on  
47 scientists, you know, some interesting arguments

1 between was Queen Charlotte Sound or Strait of  
2 Georgia more important in 2007, but in general  
3 people agree.

4 Q Okay. Thank you. I'd like to now just ask some  
5 questions about the stage 1 of your report, and  
6 I've got just a couple of questions. We'll just  
7 walk through the lifecycles, as you've put them  
8 out.

9 If we could move to -- back in the two pages,  
10 Mr. Lunn, to the start of the executive summary,  
11 Stage 1. One more page, please. Thank you. So  
12 here, with respect to Stage 1, you state that --  
13 basically, you say that climate change is a  
14 possible factor with respect to the causes of  
15 decline for Stage 1, and you talk about climate  
16 change throughout the report. So I'm just  
17 wondering, what's your definition of climate  
18 change? What do you mean when you say climate  
19 change is a possible factor?

20 A Okay, so there's two questions there. So my  
21 definition of climate change would be the increase  
22 in greenhouse gases and associated changes in both  
23 temperatures and circulation in the ocean and  
24 other factors driven by that increased amount of  
25 heat in the atmosphere. And here we were  
26 following or synthesizing the work that Scott  
27 Hinch and Eduardo Martins had done in their  
28 climate change report in which they noted that  
29 temperature changes could have both positive and  
30 negative effects on incubation emergence in  
31 freshwater rearing. And so we carried that  
32 through as a possible factor. It had exposure in  
33 the sense that temperatures have been shown to be  
34 increasing, certainly in the Fraser, and other  
35 data showed temperature increases in many  
36 tributaries, so it remained a possible factor.

37 Q So when you say "climate change", are you seeing  
38 that as increased variability, or are you seeing  
39 that as an increased general temperature rising?

40 A Certainly both occur. With climate change in this  
41 context, for this specific section, we were  
42 relating it more to increases in temperature,  
43 because that's what Scott Hinch and Eduardo  
44 Martins had referred to.

45 Q All right. Would you agree that climate change  
46 manifests itself in a variety of factors, then?

47 A Absolutely.

1 Q Okay. And would you agree that climate change is  
2 not a mechanism, per se?

3 A A mechanism of causing mortality, is that what you  
4 mean? Or a mechanism for what?

5 Q Well, it's not a separate factor onto itself, that  
6 it's a combination of factors come together, when  
7 we think about climate change?

8 A I guess I'd describe climate change as a driving  
9 force which can ultimately affect sockeye through  
10 many different mechanisms in many different life  
11 history stages, if that's what you meant. That's  
12 certainly how I would describe it.

13 Q Okay. Thank you. And how is climate change,  
14 then, different from changing marine conditions?

15 A Well, first of all, climate change can also occur  
16 in the freshwater part of the lifecycle, not only  
17 in the marine system. So the various mechanisms  
18 that are discussed in the climate change report  
19 include both changes in freshwater as well as  
20 changes in marine systems, so Hinch and Martins  
21 talk about, for example, in the marine side  
22 climate change, changes in temperature can effect  
23 food conditions, can effect prey, can effect  
24 predators, can effect competitors. Obviously,  
25 marine conditions are strictly in the marine.  
26 They're going to be influenced by climate change,  
27 but climate change is larger than that, so changes  
28 in hydrology, for example, over freshwater, as  
29 well as changes in temperature, incidents of  
30 extreme weather conditions. Those are all climate  
31 change mechanisms which would not occur in the  
32 marine system.

33 Q Thank you. So then, with respect to Stage 1,  
34 you've -- going back to your executive report, you  
35 say that we feel -- and I'm reading from your  
36 report, that:

37  
38 We feel...confident in this conclusion  
39 because juvenile productivity...has not  
40 declined over...eight of the nine Fraser  
41 sockeye stocks where it has been measured.

42  
43 So can you explain what you mean by that statement  
44 there?

45 A So in nine of the stocks we have some measure of  
46 juveniles per spawner. In seven of those stocks,  
47 it's fry per spawner; in two of them it's smolts

1 per spawner. And in eight of the nine, and those  
2 data are listed at the back of the PSC report,  
3 there hasn't been any trend over time in juvenile  
4 productivity, either an increase or a decrease.  
5 And in the nine, which I believe is the Gates  
6 sockeye stock, there has been an indication of  
7 some decline.

8 Q All right. And so based on that, then, you  
9 conclude that you can eliminate a whole suite of  
10 stressors as being a likely cause of decline as a  
11 result of this conclusion, right? And then you  
12 list these factors that we see before us:  
13 forestry; mining; large hydro; small hydro, et  
14 cetera?

15 A No, that's -- what you stated isn't the way we  
16 stated it. We looked at a whole bunch of  
17 evidence, particularly from freshwater -- pardon  
18 me, the Technical Report 3, in order to draw the  
19 conclusion that these habitat factors were  
20 unlikely to be the primary drivers. It wasn't  
21 only the juveniles per spawner data. There's a  
22 whole bunch of analyses in Nelitz et al, about the  
23 cumulative stress factors. And secondly, we're  
24 not eliminating it as a potential contributing  
25 factor; we're saying it's unlikely to be a primary  
26 factor driving the overall declines. It could  
27 still be a contributing factor in some watersheds,  
28 to some stocks, in some years.

29 Q Right. So if I understand your analysis, then,  
30 you're really focusing on juvenile productivity,  
31 but I'm wondering if you'll agree that there may  
32 also be a problem with juvenile viability, and by  
33 "juvenile viability" I mean the health broadly  
34 defined of the juvenile fish?

35 A That's certainly possible. If we had disease data  
36 from juvenile stages through smolt stages through  
37 adult stages, we might be able to test that  
38 hypothesis as well as condition information. We  
39 don't have that information.

40 Q Right. But you'll agree that it's important to  
41 study both productivity and viability; they're two  
42 separate ways of trying to understand the health  
43 of --

44 A Yes, I think that is important, and it's in our  
45 recommended research and monitoring in section  
46 5.2.

47 Q Great. Thank you. I'd like to now move to

1 Canada's list of documents, Tab 2. We've listed a  
2 paper here by Petrosky and Schaller, and I note  
3 you've quoted it at page 45 of your expert report,  
4 titled, Influence of River Conditions During  
5 Seaward Migration and Ocean Conditions. Are you  
6 aware of this paper?

7 A Yes, I am.

8 Q All right. And as I understand it, this paper is  
9 about the influence of freshwater factors,  
10 primarily dams, as you talked earlier, in the  
11 Columbia River, having a delayed mortality impact  
12 on the fish when they entered the marine waters;  
13 is that a fair summary?

14 A It's a consideration of both freshwater factors as  
15 well as ocean conditions effecting survival rates.

16 MR. TIMBERG: Okay. Thank you. If this could be  
17 marked as the next exhibit.

18 THE REGISTRAR: Exhibit 1903.

19  
20 EXHIBIT 1903: Influence of river conditions  
21 during seaward migration and ocean conditions  
22 on survival rates of Snake River Chinook  
23 salmon and steelhead, by C.E. Petrosky and  
24 H.A. Schaller  
25

26 MR. TIMBERG:

27 Q And at the top of page 522, which is, I think, I  
28 believe the next -- I'm not sure of the page. Mr.  
29 Lunn, if you could go to the bottom, just it's 522  
30 at the top. So, right, so the top right-hand  
31 corner, Mr. Lunn, if we could blow up that section  
32 there.

33 There's a quote here from the authors that I  
34 thought I would ask your opinion about. At the  
35 top right-hand corner it says:

36  
37 The NPCC noted that while we cannot control  
38 the ocean, we can monitor ocean conditions  
39 and related salmon survival and take actions  
40 to improve the likelihood that Columbia River  
41 Basin salmon can survive varying ocean  
42 conditions.  
43

44 Would you agree that this statement can apply  
45 equally for the Fraser River for sockeye salmon?

46 A Yes, I would, although I would caution that if  
47 conditions in the ocean are really bad, the

1 ability to improve the likelihood may be  
2 difficult.

3 Q Okay. And then the next paragraph down starts  
4 with:

5  
6 Recruitment success in the ocean environment  
7 is generally believed to occur largely during  
8 the first critical months at sea...

9  
10 and do you agree with that statement?

11 A Yes, I think that's true for most Pacific salmon.

12 Q Thank you. And then over the page, it states, at  
13 the top, left-hand corner, over the page, if we  
14 could look there, the second sentence says:

15  
16 First year ocean survival reflects the  
17 influence of near shore and broad scale  
18 environmental conditions, but may also be  
19 influenced by the condition of fish when they  
20 reach saltwater due to experiences in an  
21 earlier life stage.

22  
23 And I presume you would agree with that?

24 A Yes, I would.

25 Q Thank you. And so this concept of delayed  
26 mortality or delayed effect, that's something we  
27 should be aware of when we're considering Fraser  
28 River sockeye salmon?

29 A Yes, we should.

30 Q And going back to my question about the importance  
31 of monitoring juvenile viability along with  
32 juvenile productivity, can you comment on what  
33 your suggestions are with respect to how to  
34 monitor juvenile viability; what should be done  
35 for that?

36 A Well, if we could go to our report on page 108, so  
37 the first row of that table says, for parental  
38 spawning success and incubation:

39  
40 Although an unlikely explanation of past  
41 declines, spawning success and incubation  
42 could relate to disease concerns and/or  
43 become higher priority in the future with  
44 climate change.

45  
46 And then, as you follow down through there,  
47 there's various suggestions on how to monitor.

1           So, for example, suggestion number 4 says:

2

3

4

5

6

7

8

9

10

11

12

13

14

15

Q   All right. That's helpful. So I understand there's sometimes a debate on where to put resources. Should resources be put towards counting fish at their different locations to capture their different life stations, or should debates -- or should resources be placed to study fish health to understand the health of the fish? What's your thought on those two monitoring approaches?

16

17

18

19

20

A   I think the first thing you have to decide is what questions you're trying to answer and what decisions you're trying to make, and then, what are the inputs to those decisions, and then decide how to collect that information.

21

22

23

24

25

26

27

So, you know, if you're trying to make a decision on harvest, you're going to want very specific information on the expected returns, both prior to and within the season. If you're trying to make decisions on what's the long-term future of sockeye and what's happening to them, you need a more comprehensive understanding.

28

29

30

31

32

33

34

So my way of thinking about this is that -- and it's not just my way, it's the common way of looking at things -- is you first try to identify where the bottlenecks are, so where are -- where is survival declining, within which life history stage, and then look within that to try to define what the stressors are there.

35

36

37

38

39

So first understand the survival and condition within each life history stage, and then look within that -- those where it appears that there are problems to understand the mechanisms and stressors.

40

41

42

Q   And so in doing that, then you would want to look at both sides, you'd want to look at the health and at the productivity?

43

A   Yes.

44

45

46

47

Q   With respect to -- I'd like, now, to have a brief conversation on pathogens. And you've stated that, in your evidence this morning and in your paper, that it's not possible to reach a



1 conclusion on pathogens due to data gaps; is  
2 that --

3 A That's correct.

4 Q And I'd like to compare what this report says to  
5 the Pacific Salmon Commission report. If we could  
6 go to page 5 of the Pacific Salmon Commission,  
7 which is Exhibit 73, again. And page 5, and it's  
8 the middle paragraph of the square box, and again,  
9 we're still in the executive summary. And it  
10 says, in the middle paragraph there:

11  
12 From the available evidence, the Panel also  
13 deduced that freshwater and marine pathogens  
14 (that is, viruses, bacteria, and/or  
15 parasites) are an important contributor to  
16 both the poor returns in 2009 and the long-  
17 term decrease in productivity, but again,  
18 data did not permit distinguishing further...  
19 It is conceivable that pathogens picked up in  
20 fresh water did not cause mortality until the  
21 ocean life stage. The Panel members' views on  
22 pathogens ranged from a *very likely*  
23 *contributor* to a *possible contributor* to the  
24 Fraser sockeye situation... Panel members  
25 believe that diseases caused by these  
26 pathogens are likely made worse by natural  
27 and anthropogenic stressors.

28  
29 So would you agree that the Pacific Salmon  
30 Commission's conclusion on pathogens are  
31 considerably stronger than your paper's  
32 conclusions?

33 A I'd say they're somewhat stronger. If you'll note  
34 in the table, or in the passage you just read,  
35 there was, by far, the widest range of uncertainty  
36 on pathogens within the Panel from "very likely"  
37 to "possible", and our job was primarily to  
38 synthesize the work done by the Cohen Commission  
39 authors, and Dr. Kent's report essentially said  
40 there are no data.

41 And so I would say that we followed a  
42 somewhat more rigorous and perhaps harsher  
43 decision tree than the Pacific Salmon Commission  
44 Panel did in deciding what conclusion we would  
45 come to, as I explained earlier to the counsel for  
46 the Cohen Commission in Table 3.3-3. So with  
47 respect to diseases, without data, we were not

1           able to draw a conclusion, and what I found in  
2           past areas is that the range of hypotheses and  
3           degrees of belief is very large until you actually  
4           get data.

5       Q     Right. But I understand at the Pacific Salmon  
6           Commission that there was expert evidence there,  
7           that Dr. John Winton was present, and he's a  
8           renowned expert in the United States on pathogens,  
9           and so the Pacific Salmon Commission was able to  
10          rely on his expert opinion; is that not part of  
11          why this stronger statement was made?

12       A     Yes, I think Dr. Winton provided his opinion on  
13           it. I would say that the Cohen Commission gave  
14           him an opportunity to give a more thorough and  
15           detailed look at diseases in the work that Dr.  
16           Kent had. I mean, Dr. Winton basically went to a  
17           workshop, listened to some presentations, and then  
18           had a couple of days to work on this. Dr. Kent  
19           had a lot more time to go through this a lot more  
20           systematically and write a more detailed report.

21       Q     Okay. Thank you. I'd like to move on, now, to  
22           some questions about Stage 4. If we could go back  
23           to your expert report, page 91, and here you are  
24           quoting from McKinnel in the second paragraph  
25           about -- and you talked about that this morning,  
26           about:

27  
28                     ...biologists rarely observe death by natural  
29                     causes of Fraser River sockeye at sea.

30  
31           Would you agree that in a good year we have  
32           approximately 90 to 95 percent marine water  
33           mortality for sockeye salmon?

34       A     If you're talking about from the smolt stage to  
35           recruits, yeah, marine survival rates, in a good  
36           year, are probably four to six percent or  
37           something. So I'm taking the opposite point of  
38           view.

39       Q     Sure.

40       A     But it comes out to the same number.

41       Q     Right. And in a bad year, we have 98 to 99  
42           percent marine water mortality, or one to two  
43           percent survival?

44       A     Yeah, or worse.

45       Q     Right. And so we're searching for a cause for an  
46           additional plus or minus five percent mortality in  
47           the marine stage to explain poor years as compared

- 1 to good years?
- 2 A Yes, I think that's correct. In a paper, which I  
3 think one of the other participants will present  
4 earlier (sic) by Dr. Hyatt, shows that you can use  
5 temperature and salinity and El Niño versus La  
6 Niña events to actually make that discrimination  
7 between good and poor ocean survival, for some  
8 stocks.
- 9 Q Right. And you'll agree that we really don't know  
10 the cause of this high mortality rate in the -- of  
11 sockeye in the marine waters?
- 12 A Well, I think we can describe the plausible  
13 mechanisms. They get eaten by other things, they  
14 die of starvation. There are other reasons by  
15 which they die. As to exactly what kills them,  
16 no, we don't know that.
- 17 Q And you'll agree that dead salmon, the mortality,  
18 are rarely found and without the bodies you can't  
19 really do biopsies or study them to determine the  
20 cause?
- 21 A Yes, I'd agree with that. And even if you had the  
22 bodies, you don't necessarily know what killed  
23 them.
- 24 Q Right. And that's part of the difficulty in  
25 testing for diseases or contaminants, because we  
26 don't have the bodies to conduct studies?
- 27 A That's correct. Although you certainly could  
28 collect fish, for example, at the trap near  
29 Mission, and you could collect fish from the  
30 Strait of Georgia, and analyze contaminant body  
31 burdens and diseases. There's certainly a  
32 possibility of doing that.
- 33 MR. TIMBERG: Mr. Commissioner, I've been given an  
34 extra 10 minutes by my fellow participant, the  
35 B.C. -- the salmon farmers, so I'll continue  
36 through till 12:30, and I may have one question  
37 upon my return.
- 38 MS. BAKER: Sorry, I think you need to finish at 12:30.  
39 I don't think there will be any time after that.
- 40 MR. TIMBERG: Well, my friend has passed me a note  
41 saying I can continue, so I will speak to him at  
42 the lunch break and I reserve the opportunity to  
43 possibly have one question after lunch.
- 44 Q If we could go to page 105 of your report. Under  
45 the section 5.2.2 Synthesis of Recommendations,  
46 you state -- you're talking about your  
47 recommendations, now:

1                   ...5.2-1 is a synthesis of research and  
2                   monitoring recommendations, based on the  
3                   Pacific Salmon Commission report, discussions  
4                   at the Cohen Commission workshop, the  
5                   Commission's Technical reports, and this  
6                   cumulative effects assessment.  
7

8                   So I'm just clarifying that you started off with  
9                   looking at the conclusions of the Pacific Salmon  
10                  Commission and then you layered the work of the  
11                  multiple reports, and then your cumulative impact  
12                  assessment; is that accurate?

13                A    That's correct. And the workshop, as it states.

14                Q    Yeah, okay. And earlier in direct from Ms. Baker,  
15                    she asked you about -- you stated that you need  
16                    excellent data -- you were talking about data  
17                    improvement and you suggested that we need  
18                    excellent data on Fraser River and non Fraser  
19                    River sockeye. Perhaps you can clarify the  
20                    importance of why we need data on non Fraser River  
21                    sockeye and we always talk about just the Fraser  
22                    River here, and I'm curious to hear your  
23                    explanation.

24                A    The ability to test these hypotheses of what  
25                    caused declines in salmon, as you stated earlier,  
26                    is very difficult to do directly, because you  
27                    don't have autopsies and the like, and so you're  
28                    relying on indirect evidence, and what you're  
29                    looking for are contrasts. You're looking for  
30                    contrasts in productivity across different stocks,  
31                    some higher and some lower, and you're looking for  
32                    contrasts in stressors, some higher and some  
33                    lower.

34                    And so the work on non Fraser stocks is very  
35                    helpful for illuminating what's the pattern that  
36                    we're trying to explain. For example, Columbia  
37                    River Okanagan sockeye more specifically, returned  
38                    in record numbers in 2009, whereas we know the  
39                    Fraser did awful. And so looking at that helps to  
40                    illuminate what could be the possible differences  
41                    between them, in this case, going to a different  
42                    part of the ocean, going around the west coast of  
43                    Vancouver Island rather than Georgia Strait and  
44                    Queen Charlotte Sound. So those kinds of  
45                    contrasts are enormously valuable.

46                Q    Thank you. Could we move to page 29 of your  
47                    report? This is the Fraser River sockeye salmon

- 1 productivity chart. And if we could just look at  
2 that. And would you agree that for the period  
3 1952 to about 1990, early 1990s, the average  
4 productivity was about approximately six adult  
5 fish returned for every spawner that spawned?
- 6 A Just eyeballing, it looks a little lower than six,  
7 but around there.
- 8 Q Okay. Thank you. If we could then move to Tab 8  
9 of Canada's list of documents. This is Exhibit  
10 1851. And what we've done is we've updated this  
11 chart with information from the Pacific Salmon  
12 Commission. Have you had a opportunity to see  
13 this before?
- 14 A Yes, I have, this week, along with 61 other  
15 documents.
- 16 Q All right. Last week Mike Bradford spoke about  
17 this document. Would you agree that in 2010, and  
18 this is certainly preliminary data for 2010/2011,  
19 that in 2010 the productivity returned to its  
20 historic average of approximately six adult  
21 returns per spawner?
- 22 A Yes.
- 23 Q And what do you make -- and then, in 2011 it's a  
24 bit lower, it's somewhere around four. But I'd  
25 suggest -- would you agree that in 2011 that's  
26 still within the low range of its historical  
27 productivity?
- 28 A Recognizing that those are our preliminary  
29 numbers, because you don't have the full age  
30 structure, that looks to be at the low end of the  
31 historical range, yes.
- 32 Q And what do you make of this increase in  
33 productivity in 2010 and 2011?
- 34 A Well, first of all, it's good news. Secondly, as  
35 we talk about in our report, in 2008, the  
36 conditions in the Gulf of Alaska, and this comes  
37 from Skip McKinnel's report, were the coolest  
38 they'd been in about 35 years, and that seems a  
39 reasonable explanation, since sea surface  
40 temperatures are strongly related to availability  
41 of food in particular, and other things, as to why  
42 the returns in 2010 are better.
- 43 As to why the returns in 2011 are better,  
44 we'll have to look back at conditions in 2009. I  
45 know there was, I think, a La Niña event which  
46 overlapped into 2009, so there was somewhat cooler  
47 conditions, at least over the winter and so on.

1 So there is that variability and, you know, we're  
2 dealt a nice hand in 2008 and a somewhat good hand  
3 in 2009, but it doesn't mean you'll get a good  
4 hand in the next game of poker.

5 Q Mm-hmm. And so that's looking at productivity.  
6 I'd like to have the same discussion about run  
7 size. So this is showing productivity. So in  
8 2009 we have a very, very poor run size, but in  
9 2010 we get a historic run size. And do we need a  
10 theory that can explain both low and high run  
11 sizes? How do we understand that.

12 A Well, if I could answer your question by going to  
13 a figure in our report on page 37 of our report?  
14 So the total return is going to be the number of  
15 spawners times the recruits per spawner. And so  
16 these four graphs are organized by brood year.  
17 And so in the top left panel you have the returns  
18 2002 -- 1998, 2002, so then that would be also  
19 2006 and 2010, which you can see are dominated by  
20 the red or Late Shuswap stock.

21 So 2010 had the benefit of both higher  
22 recruits per spawner, as you were just shown, like  
23 around six, but also had the benefit of a pretty  
24 large cycle year in the late Shuswap stock, and  
25 you can see that they're a lot lower, the red is a  
26 lot lower in the other brood years in the other  
27 three graphs. So the total return is just the  
28 number of spawners times recruits per spawner.  
29 It's just straight math.

30 And when you have more spawners, even if you  
31 have the same recruits per spawner, you're going  
32 to get more returns. And that's why you can see,  
33 you know, over those -- each of those big Adams  
34 year runs, you get, you know, more recruits.

35 MR. TIMBERG: Thank you. I note the time, Mr.  
36 Commissioner.

37 THE COMMISSIONER: Thank you very much, Mr. Timberg.

38 THE REGISTRAR: The hearing will now adjourn until 2:00  
39 p.m.

40  
41 (PROCEEDINGS ADJOURNED FOR NOON RECESS)  
42 (PROCEEDINGS RECONVENED)

43  
44 THE REGISTRAR: The hearing will now resume.

45 MR. TIMBERG: I have one final question for you, Dr.  
46 Marmorek. And, for the record, it's Tim Timberg  
47 and Charles Fugère for the Government of Canada.

56

David Marmorek

Cross-exam by Mr. Timberg (CAN)

Cross-exam by Mr. Prowse (BCPROV)

1 CROSS-EXAMINATION BY MR. TIMBERG, continuing:  
2

3 Q If you could go to page 9, the last paragraph  
4 there. It just states that:  
5

6 The scope of the present cumulative effects  
7 analysis is limited to the scope of the Cohen  
8 Commission technical research projects as a  
9 whole. Our cumulative effects analysis has  
10 been conducted within the universe of the  
11 other technical projects and the data  
12 available from within those projects. This is  
13 not a cumulative effects study of Fraser  
14 River sockeye salmon within the broader realm  
15 of all available scientific literature,  
16 research and reports.  
17

18 And so my question is: Just for clarity, you'll  
19 agree that this report does not consider the  
20 testimony and cross-examination of the authors of  
21 the other technical research projects that  
22 appeared before this Commissioner?

23 A It doesn't consider the testimony. It does  
24 consider their reports.

25 Q Yeah, thank you. It's just their reports?

26 A Yes.

27 MR. TIMBERG: Thank you. Those are all my questions.

28 And for the record, I think I've used up 11  
29 minutes of the time that was allotted to me.

30 MR. PROWSE: Mr. Commissioner, Cliff Prowse, for the  
31 Province of British Columbia, and I have, I think,  
32 25 minutes left, and I think I'll be less than  
33 that.  
34

35 CROSS-EXAMINATION BY MR. PROWSE:  
36

37 Q Might I have Canada's document Tab 1, please.  
38 This is an operational policy statement addressing  
39 cumulative environmental effects under the  
40 **Canadian Environmental Assessment Act**. Have you  
41 been involved in any projects that have involved  
42 environmental assessments under the **Canadian**  
43 **Environmental Assessment Act**?

44 A The company, as a whole, has, and I'm involved  
45 with one right now which will be, but I haven't  
46 had a lot of experience with it.

47 Q All right. And you've been involved in other

1 kinds of environmental assessments in --

2 A Yes, I have.

3 Q -- other jurisdictions? And this is the  
4 practitioner's guide, so it's basically telling  
5 people what they have to do with respect to  
6 cumulative environmental effects if the **CEAA** is  
7 triggered, as I understand it. This kind of  
8 assessment of environmental effects is not -- this  
9 would be within, I think, what -- in the statement  
10 you just read, would be within the broader  
11 literature about environmental effects. This  
12 isn't the kind of literature that you've  
13 considered for purposes of this report?

14 A Well, we did look at how cumulative effects  
15 assessment is considered under **CEAA** when we were  
16 designing our approach to this retrospective  
17 ecological risk assessment. The key difference  
18 here is that cumulative effects assessment under  
19 **CEAA** is looking forward as a project and then  
20 you're looking at what other projects can be  
21 reasonably foreseen to also be occurring in the  
22 future that might interact with the effects of the  
23 project. So that's one difference.

24 The other difference is that the way this  
25 operational policy statement work is, it's centred  
26 on the project as opposed to centred on the valued  
27 ecosystem component which is, in this case,  
28 sockeye. So we're looking at all the different  
29 factors that can effect sockeye and addressing it  
30 from that point of view, which some of my  
31 colleagues, like Lorne Grieg, who was on this  
32 study, have argued there's a better way to  
33 actually do cumulative effects assessment.

34 Q All right. And are there any conceptual  
35 differences, apart from the ones you've mentioned,  
36 between the approach you've taken and the one  
37 that's embodied in this kind of an approach that  
38 are important for the Commissioner to know?

39 A I think it's fundamentally different, and the task  
40 here is to look retrospectively and say, "What are  
41 all the different factors," and how they  
42 interacted to have affected sockeye, as opposed to  
43 saying, "Here is one project and how could that  
44 project, going forward, affect a variety of  
45 different environmental components, including  
46 other possible projects that might occur?"

47 This particular practitioner's guide I don't



1 think is really relevant to what the task that the  
2 Cohen Commission had to do.

3 Q I'm going to get this muddled up, but there's a  
4 saying, I think, in the -- if you're approaching  
5 your financial planner, that past results aren't a  
6 guarantee of future performance.

7 A Mm-hmm.

8 Q How does that concept apply to what you're just  
9 saying, because aren't we in the Commission really  
10 concerned with future performance and that's the  
11 only reason why we're interested in the past  
12 results?

13 A Well, I think that's a good warning, both  
14 financially and biologically, in that the sequence  
15 of ocean years which may occur in the future could  
16 be quite different from what has occurred in the  
17 past. There are many alternative futures, whereas  
18 there's only one past. The actual question that  
19 all of the main authors of these reports were  
20 asked to look at is, What's the relative  
21 likelihood of these different stressors of having  
22 influenced the past.

23 Now, how you best manage fisheries going  
24 forward is really a good question. That's not a  
25 question that we were addressing, nor is it a  
26 question that most of the other reports were  
27 addressing, with the exception of the ones that  
28 were looking at fisheries management.

29 MR. PROWSE: Mr. Commissioner, for the record, could we  
30 mark this as the next exhibit, please.

31 THE REGISTRAR: Exhibit 1904.

32

33 EXHIBIT 1904: Addressing Cumulative  
34 Environmental Effects Under the **Canadian**  
35 **Environmental Assessment Act**

36

37 MR. PROWSE:

38 Q So going forward in your report, you were asked to  
39 look at research projects going forward.

40 A Mm-hmm.

41 Q And so I think it's --

42 A Yeah, page 103, I think.

43 Q Yes. In particular, there's Table 5.2-1 at page  
44 108, Mr. Lunn. This is in the current exhibit.

45 So in this report, you've selected  
46 recommendations broken down by life stage and then  
47 you bolded 12 of them. And you've also -- I guess

1 the first question is: You've talked about, I  
2 think, having an integrated approach to all this,  
3 so that you're doing research on everything.  
4 Maybe I've misstated that. Can you explain how  
5 you would select, going forward, the research  
6 areas that you've honed in on here?

7 A So, first of all, it's not up to me to make that  
8 decision. And in the testimony that I gave  
9 earlier to the Commission lawyer, I outlined on  
10 the previous page - Mr. Lunn, if we go to 107 -  
11 what I think the criteria would be for further  
12 prioritizing this list. So those four questions  
13 that you see up there on page 107 are the --  
14 represent the process that we would recommend  
15 using and the process that we've used in other  
16 projects for trying to prioritize.

17 Q All right. And you referred to the -- some EPA  
18 data quality objectives processes, which I take it  
19 you've utilized in other projects?

20 A Yes, going back to the 1980s and acid rain and  
21 many other applications since then.

22 Q And does the EPA have an overarching integrated  
23 scheme for their projects, or is this something --  
24 is this really a tool that you use on specific  
25 projects within the EPA realm?

26 A This is more used within specific projects within  
27 the Environmental Protection Agency. That was how  
28 it was originally designed. So if you wanted to,  
29 for example, design if a river were polluted or  
30 not, that you would lay out what your decision  
31 criteria were for making that decision where all  
32 the inputs were and then design a study  
33 accordingly to fit that.

34 That having been said, we found it applies  
35 quite well to broader situations where you have  
36 multiple potential research and monitoring  
37 projects that you might do, and by asking the  
38 question, "What are the decisions you really want  
39 to make and what are the inputs of those  
40 decisions," certain things rise to the top as  
41 being more important than others.

42 Q All right. So in this, I guess, within the world  
43 of the Cohen Inquiry, then, the participants can  
44 make recommendations about how this approach would  
45 be applied and the Commissioner may choose to  
46 adopt this system or some other system or adopt  
47 these recommendations, and those would all be made

- 1 as a recommendation to the Government of Canada in  
2 this instance. Have you considered or written  
3 about different options for decision-making as to  
4 who would make these overall arching (sic)  
5 decisions? For example, there's -- some people  
6 refer to a forest - sorry, not a forest - I think  
7 a fisheries research board that I think is a past  
8 entity that had some coordinating function, but  
9 have you written on that topic as to how do you  
10 decide who should make that decision?
- 11 A No, I haven't written specifically on that topic.  
12 What I found in other projects with similar  
13 challenges is that the best way to make those  
14 decisions is to have a good dialogue between the  
15 managers who need the information and the  
16 scientists who produce it, so that the managers  
17 keep the scientists relevant to their real  
18 decision needs and the scientists keep the  
19 managers realistic with respect to what can or  
20 cannot be answered by science. So I really  
21 believe that it's a mix of the two that's  
22 required.
- 23 Q Okay. I'm going to digress from this point,  
24 simply to ask: The subject of contaminant has  
25 come up in the hearing and this morning you told  
26 Ms. Baker, a few times, that -- your comments were  
27 you've written about contaminants as based on  
28 known contaminants, as opposed to the unknown or  
29 emerging contaminants and endocrine disrupters,  
30 where simply they're not known, so you haven't  
31 considered them in your report; is that a fair  
32 statement?
- 33 A That's a fair statement.
- 34 Q I understand, from your resume, that you were  
35 involved with pulp mill standards, going back 20  
36 years ago or so, 15 or 20 years ago; is that  
37 right?
- 38 A We weren't involved in development standards. We  
39 worked with Environment Canada and the B.C.  
40 Ministry of Environment on looking at the fate and  
41 effects of pulp mill effluents in the Fraser  
42 Basin. It was more attempting to decide what were  
43 research and monitoring priorities, and some  
44 modelling was involved with a professor from Simon  
45 Fraser University.
- 46 Q So you may or may not have a view on this, but my  
47 question is: How do we understand the evidence

1 we've had in this inquiry from Mr. MacDonald and  
2 others about that it should be an important  
3 project to look at, endocrine disrupters and  
4 contaminants of emerging concern, as opposed to  
5 looking backwards to the studies that you would  
6 have been involved with at that time, or the  
7 Governments were involved with at that time, about  
8 pulp mills, which I think largely succeeded in  
9 cleaning up the matters that were -- the matter of  
10 concern. Is this just a generational iterative  
11 process that, in the future it's always good to do  
12 an update and look at these things, or how would  
13 you explain that?

14 A Well, I think new stressors emerge and it's a good  
15 idea to do some studies to assess, "Is this a big  
16 problem or a small problem?". I don't think it  
17 should be that hard to collect some smolts at the  
18 outlet of the Fraser and examine them for  
19 contaminant burdens and get better estimates of  
20 exposure, and then do a kind of screening  
21 assessment on how large or small the problem is.

22 One thing I'll note in context here, and it  
23 comes back to the comments I made earlier to Ms.  
24 Baker about the pattern, is that you do,  
25 unfortunately, see these productivity declines in  
26 a lot of sockeye stocks that are from essentially  
27 pristine watersheds in the central and northern  
28 parts of B.C. and southeast Alaska. So if it were  
29 purely contaminants that were a driving factor,  
30 whatever they were, you would wonder why, in  
31 pretty uncontaminated systems, you would also be  
32 having those declines.

33 Q All right. Within your recommendations, the  
34 problem I want to pose to you is: We are probably  
35 living in a world of short governmental dollars,  
36 so there, I think there was, evidence in the  
37 spring that there was an anticipated five percent  
38 budgetary cut across the board, including the  
39 Department of Fisheries and Oceans. So in that  
40 context, it would seem to me that if you were able  
41 to say, "Here's the top three projects, and if we  
42 could do just these top three projects we would  
43 really come to a breakthrough in our understanding  
44 of the problems," that that would be a nice  
45 position for us all to be in. But I take it, from  
46 your table, that you think that we're in a world  
47 where there's many different possible causes

- 1 working in different combinations, different from  
2 year to year, and that a comprehensive approach  
3 seems to be what you're recommending here?
- 4 A Well, I think you also have to recognize, when you  
5 start talking about future budget cuts, there's  
6 been a huge number of historical budget cuts, and  
7 so if you say to the Department of Fisheries and  
8 Oceans, "Well, we'd like you to be able to answer  
9 all these questions when things go wrong, but  
10 we're not going to actually give you any money to  
11 do it," I don't think that's a fair way of  
12 approaching it. So my approach to this, or our  
13 team's approach to this was to say, "Here is what  
14 we think would be required to answer both  
15 management and scientific question adequately."  
16 Now, if there aren't enough resources to do  
17 that, I think there needs to be a very careful  
18 consideration by a lot of people, as I outlined in  
19 what you see on page 107, as to what the trade-  
20 offs would be. And so I'm not going to throw out  
21 my best three guesses off the top of my head as to  
22 what would be the best, because I don't think  
23 that's the right way to make that decision. I  
24 think you'd really have to systematically analyze,  
25 what are the benefits and costs of doing each of  
26 these things and of not doing them, what are the  
27 risks of not doing them.
- 28 Q In that context, I noted in your resume that you  
29 had had some involvement with Carnation Creek  
30 research that has been done by Peter Tschaplinski  
31 and others.
- 32 A Mm-hmm.
- 33 Q Is that an example of a long-term project that has  
34 some messages about importance for understanding  
35 problems going forward?
- 36 A Well, they're looking at effects of forest  
37 harvesting on salmon and it's been a very valuable  
38 project with a long history. I think that there's  
39 always a compromise between a very intensive look  
40 at one watershed, like Carnation Creek, versus an  
41 extensive look at a bunch of watersheds, and I  
42 think you need both of those kinds of studies,  
43 because if you just look at one place, it's not  
44 going to be representative of all those places.  
45 SO the 64 stocks that Peterman and Dorner looked  
46 at give us a very broad look, but not very deep,  
47 and whereas the work that, say, is done on

- 1           Carnation Creek or on the Kehoe River by Bruce  
2           Ward, gives a much deeper look at, you know, a few  
3           places. You can't afford to do that everywhere,  
4           but I think you need both.
- 5           Q     But, in particular, you need a long time series of  
6           data to --
- 7           A     Correct.
- 8           Q     So it's important to keep it going year after  
9           year?
- 10          A     Absolutely.
- 11          Q     I wanted to ask you, briefly, about work you've  
12          done for the Province of British Columbia -- that  
13          your firm has done for the Province of British  
14          Columbia to do with sensitive watersheds and a  
15          watershed evaluation tool. Can you just explain  
16          that to the Commissioner to the extent you're  
17          aware of it?
- 18          A     Sure, I've been involved in that work. Going back  
19          to the '90s, there was something called the Forest  
20          Practices Code, and every watershed that was  
21          scheduled for harvesting had to go through a  
22          watershed assessment procedure. And then around  
23          2000 they decided that they didn't want to make  
24          forest companies do that for every single  
25          watershed, so they developed this watershed  
26          evaluation tool which was basically a method of  
27          rating the relative sensitivity of different  
28          watersheds, and then those that had the most  
29          important fisheries or fish populations, and they  
30          could be either from a number of harvested fish or  
31          from an endangered species or a species at risk  
32          point of view, or were most vulnerable, because  
33          steep-sided watersheds and other geomorphic  
34          features made them more vulnerable to the  
35          forestry, that those would be designated as  
36          fisheries-sensitive watersheds, and so the  
37          Province has gone through and identified those.
- 38                 And then we've been working with the Ministry  
39          of Environment at a sampling design and, instead  
40          of monitoring protocols that could be used both  
41          with remote sensing information as well as field  
42          protocols to try to assess the relative  
43          sensitivity and the current status of watersheds,  
44          both before and after forest harvesting, and some  
45          of those methods are just being tested in the  
46          field actually next week.
- 47          Q     Thank you. Now, I think, judging by the exhibit

1 number of your resume, that you were probably a  
2 co-author on the Technical Report 3?

3 A That's correct.

4 Q And so I had a very high overview level, I recall  
5 that Katherine Wieckowski did an approach to the  
6 Wild Salmon Policy that was sort of a shortcut  
7 tool. I know I'm grossly oversimplifying. Do you  
8 recall that?

9 A Well, we'd have to get out Technical Report 3, if  
10 you actually want to look at it. But basically,  
11 she looked at a number of existing status  
12 assessments for the 36 conservation units and  
13 while that work was ongoing there was another  
14 report, I think the first was Pestal et al, and  
15 then there was another report by Grant et al, and  
16 so sort of compared the two and looked at how the  
17 two different status assessments turned out. And  
18 most of them didn't actually change very much. So  
19 I don't know what you mean by a shortcut. It was  
20 basically using the information that was available  
21 to provide some kind of status assessment for the  
22 36 conservation units.

23 Q Have you been involved in work on the Wild Salmon  
24 Policy, apart from that -- apart from that report?

25 A We have done some work. We did some work for  
26 Pacific Fisheries Resource Conservation Council on  
27 the Wild Salmon Policy, looking at, I think they  
28 call it, other ecosystem values, so essentially  
29 other animals that benefit from eating salmon and  
30 what the implications are of different escapement  
31 policies that way.

32 We've also done work on the Wild Salmon  
33 Policy with the Department of Fisheries and Oceans  
34 on the habitat side, in terms of habitat  
35 indicators, and co-authored a document. I think  
36 Heather Stalberg was the first author on that.

37 Q All right. So Strategy 4, as I understand it, is  
38 intended to deal with some form of integrated  
39 management. Have you, first of all, done any work  
40 or writing on that? Probably you may have done  
41 that on the PFRCC document?

42 A No, we're not involved in Strategy 4. I don't  
43 remember right now all the numbers in the Wild  
44 Salmon Policy, but I think it was 2 and 3, rather  
45 than 4. One of my colleagues, Mark Nelitz, may  
46 have gotten involved in some of that work.

47 Q All right. Commission Counsel, this morning,

65

David Marmorek

Cross-exam by Mr. Prowse (BCPROV)

Cross-exam by Mr. Hopkins-Utter (BCSFA)

1 marked three documents, documents 1892/93/94,  
2 which were papers by Welch and Parsons and  
3 Blackbourn and MacKenzie and others; are you  
4 familiar with those?

5 A I'm just trying to remember which -- these are...?

6 Q These were miscellaneous papers. They --

7 A Are these the ones with the pesticide use, or --

8 Q No, no.

9 A No? Which ones?

10 Q This is on sea surface temperatures and --

11 A Oh, I'm sorry. Sorry, Welch and Parsons.

12 MS. BAKER: (Inaudible - off microphone).

13 MR. PROWSE: All right. All right.

14 A Sorry, no, I'm familiar with some of the work by  
15 David Welch, but I'm not familiar with the -- oh,  
16 sorry, these ones that were marked this morning?  
17 No, this is the first time I'd seen these.

18 MR. PROWSE: All right. I have no further questions,  
19 Mr. Commissioner.

20 MR. HOPKINS-UTTER: Good afternoon, Mr. Commissioner.  
21 Shane Hopkins-Utter, representing the B.C. Salmon  
22 Farmers Association this afternoon. And by my  
23 count, after Mr. Timberg had some of our time, I  
24 count that we have 20 minutes remaining.

25

26 CROSS-EXAMINATION BY MR. HOPKINS-UTTER:

27

28 Q Dr. Marmorek, today I'm going to ask you some  
29 questions about modelling, generally, and the  
30 first thing that I'd like to ask you about is the  
31 use of benchmarks. Mr. Lunn, if you could please  
32 pull up Tab 2. This is Technical Report 1896 at  
33 pdf 29, page 13. The second paragraph, beginning  
34 with, "Rocket science".

35 A Oh, I like this paragraph.

36 Q I do, too, which is why I wanted to ask you about  
37 rocket science being used as a benchmark. Maybe  
38 you could just start us off with that, because I  
39 think after a very long time in hearings and being  
40 lawyers, we've come to appreciate the complexity  
41 of this, but I think your words will capture it  
42 best.

43 A Well, I should mention that this particular  
44 paragraph had two completely opposite reactions to  
45 it. Randall Peterman asked if he could use it in  
46 an address to the American Fisheries Society, and  
47 Sean Cox said it was nonsense and should be



1 removed. So given that range of benchmarks for  
2 this benchmark paragraph, the point here is that  
3 there is a lot of variability, particularly in the  
4 ocean, where it's not well monitored and the  
5 interactions can vary from year to year, so it's  
6 extremely difficult for fisheries scientists to  
7 predict what the recruits per spawner are going to  
8 be from a given parent generation.

9 And so the metaphor here, and I think Sean  
10 Cox's objection was, "There's no place for  
11 metaphor in science writing," is that a rocket  
12 scientist would have to deal with continuing  
13 changes in the sort of ground conditions from year  
14 to year and the ability to monitor that variation.

15 I don't know if it's really a benchmark in  
16 this context for science, I just think it means  
17 there's a lot of difficult -- I should mention  
18 that Sean Cox said, in his review, that fisheries  
19 scientists were not smart enough to launch  
20 rockets, so that's the counter view here.

21 Q So in your opinion, would you prefer the weight of  
22 evidence leaning toward Peterman's assessment?

23 A Understandably.

24 Q Moving on, well, given the complexities that  
25 you've just spoken of, I understand that models  
26 are generally used to be a type of representation  
27 of reality. Is that something that you would  
28 agree with, a mathematical representation of a  
29 reality?

30 A It's a simplification of reality for the purposes  
31 of answering some question of interest. And the  
32 famous saying is that "All models are wrong and  
33 some are useful."

34 Q Well, you also noted, earlier, that the best model  
35 that you were able to come up with was, I think  
36 you used the word, surprisingly, was the one that  
37 actually included the most factors, so the most  
38 real world factors. Was that --

39 A Actually, no, that wasn't true. That was in one  
40 case. We went through several different analyses.  
41 That was true for the case where we were looking  
42 at combining or using all the Cohen Commission  
43 projects as away of organizing information. When  
44 we organized it by life history stage, actually,  
45 models which use less information proved to be  
46 more informative.

47 Q You also mentioned that, and I think it was in

- 1           that same context, the AIC can penalize for having  
2           too many variables. Is that one of the weaknesses  
3           of AIC?
- 4       A     No, it's not a weakness at all; it's a strength.  
5           Historically, biologists tended to throw all the  
6           things they'd monitored into the computer and, you  
7           know, they'd run 100 variables and five of them  
8           would come out significant and they'd say, "Oh,  
9           these must be important," and that would happen  
10          just if you threw random numbers in. So the  
11          stress of the Burnham and Anderson approach, who  
12          prompted AIC in the 1990s, was to make very  
13          specific hypotheses and test only variables  
14          related to those hypotheses and to, in fact,  
15          penalize models which threw more variables in but  
16          didn't get any better explanation of the data.  
17          So essentially you try to get the best  
18          possible explanation, in this case of sockeye  
19          productivity, with the least number of variables.
- 20       Q     From my recollection, is that the r-squared you  
21           should be seeing some improvement as you go?
- 22       A     The AIC measure is a measure which includes the  
23           likelihood of the data given the models and the  
24           measure of how many variables you use, so that's  
25           different from the r-squared that we talked about  
26           earlier.
- 27       Q     Mr. Lunn, if you could pull up Tab 12. This is  
28           Spanos, and I know I'm going to mispronounce it,  
29           so I'll just use the AIC and the Reliability of  
30           Inference: Model Selection Versus Statistical  
31           Model Specification paper published in 2010.  
32           Are you, in fact, aware that there are  
33           criticisms of the AIC, as evidenced in this paper?
- 34       A     Yes. And since we received those, which was five  
35           o'clock Friday, we actually had Carl Schwarz, head  
36           of statistics at Simon Fraser University -- he was  
37           the chair of the Simon Fraser statistics  
38           department, look over this paper, and we also  
39           looked it over.
- 40       MR. HOPKINS-UTTER: Mr. Lunn, could we mark that as the  
41           next exhibit?
- 42       A     Would you like me to comment on that paper?
- 43       Q     Yes, yes, absolutely. Sorry. Before I forget.
- 44       A     So the two points in the paper that Spanos et al  
45           -- Spanos raises here, the first is that AIC  
46           approaches:  
47

1                   ...give rise to unreliable inferences,  
2                   primarily because their choice within a  
3                   [prescribed] family of models (a) assumes  
4                   away the problem of model validation, and (b)  
5                   ignores the relevant error probabilities.  
6  
7

8           Q       So if those two faults are committed, then it will  
9                   give rise to unreliable inferences; is that what  
10                  the paper is saying?

11          A       That's what the paper is saying, so I don't agree  
12                  with it for a number of reasons. First of all,  
13                  these AIC statistical methods have been used in  
14                  the scientific literature over the last 15 and 20  
15                  years, and as described in Burnham and Anderson,  
16                  1998; and, secondly, the -- if you go through the  
17                  process I just described earlier, whereby you  
18                  define your hypotheses based on biological theory  
19                  and examine the relative level of support for each  
20                  model, using AIC and other criteria, goodness of  
21                  fit measures of how well the model fits, examining  
22                  residuals and doing other things, then it's a  
23                  quite valid approach to do, and we did that, we  
24                  applied it appropriately.

25                  And I'll just say that while there are parts  
26                  of that Spanos paper that Dr. Schwarz agreed with,  
27                  there were other parts which he did not agree with  
28                  at all.

29          Q       Dr. Marmorek, I hate to interrupt, but I do have  
30                  limited time, unfortunately, and I was just  
31                  wondering if you were, in fact, aware of the  
32                  criticisms that some others make. You have stated  
33                  on the record that you disagree with them,  
34                  however.

35          A       Correct.

36          MS. BAKER: Mr. Commissioner, the witness was in the  
37                  middle of an explanation. My friend put the  
38                  article to him. The witness is allowed to explain  
39                  whether he agrees with it or not agree with it. I  
40                  mean, he wants to have this marked as an exhibit.  
41                  He at least needs to allow the foundation to be  
42                  met or not met.

43          THE COMMISSIONER: Carry on.

44          A       I think the key point, here, is that if you  
45                  carefully decide which hypotheses you're testing  
46                  and then look at various diagnostic information,  
47                  including AIC and other measures of goodness of

1 fit, that they're wholly appropriate, and that the  
2 criticisms outlined in this paper are not a  
3 problem.

4 MR. HOPKINS-UTTER: Thank you for your answer. Sorry  
5 for trying to interrupt.

6 Mr. Lunn, could you please take us to Exhibit  
7 1896, Technical Report 6, at pdf 116 -- oh, I'm  
8 sorry, could we please mark that as an exhibit,  
9 Mr. Registrar.

10 THE REGISTRAR: Yes, that will be 1905.

11 MS. BAKER: Again, Mr. Commissioner, the witness  
12 actually did not adopt anything or accept anything  
13 in this journal article, so I'm not sure that it  
14 should be marked as an exhibit.

15 MR. HOPKINS-UTTER: Mr. Commissioner, I would suggest  
16 that, as has been the practice throughout these  
17 Commission hearings, I've asked questions of the  
18 witness on the paper, he recognized it, he  
19 acknowledged that he gave it, and he gave his  
20 opinion on it.

21 THE COMMISSIONER: Very well, we'll mark it as an  
22 exhibit, thank you.

23 THE REGISTRAR: So marked.

24  
25 EXHIBIT 1905: Akaike-type Criteria and the  
26 Reliability of Inference: Model Selection  
27 Versus Statistical Model Specification, by  
28 Aris Spanos  
29

30 MR. HOPKINS-UTTER: I'm sorry, what was the number for  
31 that?

32 THE REGISTRAR: 1904 -- or, I'm sorry, 1905.

33 MR. HOPKINS-UTTER: Thank you.

34 Q Dr. Marmorek, I note this table 4.8-1, it says:

35  
36 Other factors potentially contributing to the  
37 decline of Fraser River sockeye salmon that  
38 were not considered within the spectrum of  
39 Cohen Commission technical reports.  
40

41 And the list includes competition with pink  
42 salmon, hatchery fish, increased predation. So is  
43 it not true that there are a number of other  
44 factors that potentially contributed to the  
45 decline that just weren't being considered in the  
46 Commission reports?

47 A Well, we mentioned one this morning of harmful

1 algal blooms, and my sense is - I'd have to check  
2 - that virtually all of the other factors that  
3 were considered by the Pacific Salmon workshop in  
4 June of 2006 -- sorry, 2010, are listed here. So  
5 in terms of primary factors that might be  
6 explaining the overall decline, I don't think  
7 there are any others. I welcome your suggestions.

8 Q I'm not the scientist, unfortunately. May we move  
9 to pdf 124, Mr. Lunn, of the same report. A  
10 little further down the page. Actually, at the  
11 bottom of the page, I believe. Thank you.

12 So this is the cell downstream migration to  
13 estuary. It reads, on the right-hand column:

14  
15 We do not know the survival rate of smolts  
16 during their downstream migration, or when  
17 they arrive in the Fraser estuary (vital to  
18 understanding potential mismatches between  
19 arrival times and marine plankton blooms).

20  
21 And you give some recommended activities. The  
22 next page, Mr. Lunn. At the top, under numbers 7  
23 and 8.

24 So is it true that the bold highlighting  
25 indicates what is a high priority in this table?

26 A Those are the ones which we thought were, if you  
27 had to divide them roughly in half, those were the  
28 ones that we thought would be in the -- at the  
29 higher level priority. Others might disagree.

30 Q And number 8 reads:

31  
32 Estimates of the size and health of smolts  
33 arriving in the Fraser estuary (e.g.  
34 pathogens, contaminant body burdens, lipid  
35 reserves),

36  
37 That's not in bold text, is it?

38 A It's not in bold text, but it's still there, which  
39 means it's still something we think is worth  
40 doing.

41 Q And are you aware that on August 24th Dr. Miller -  
42 I'm going to paraphrase what she said - but Dr.  
43 Miller gave evidence that the signature or, sorry,  
44 the parvovirus may be coming from the freshwater  
45 environment due to the higher prevalence in smolts  
46 as they leave freshwater, entering the marine  
47 environment. Would that testimony suggest that

1           this number right here should be considered a  
2           higher priority?

3       A     I think it goes back to deciding, as I said at  
4           least two or three times, what the decisions are  
5           you want to make and what are the most important  
6           inputs to those decisions, as I was just speaking  
7           to your colleague about the data quality  
8           objectives process. So the relative importance of  
9           genomic studies versus all these other things need  
10          to be examined in the context of what you're going  
11          to do with that information for what decisions.

12       Q     Mr. Lunn, page 66 of this report -- I'm sorry, pdf  
13           66, page 50. No, you actually had it on the  
14           screen. Under 4.3.1, the second sentence beginning  
15           with:

16  
17                 Nelitz et al. (2011) point out that sockeye  
18                 salmon smolts are cued to migrate towards the  
19                 ocean in response to changing environmental  
20                 conditions, which includes responding to day  
21                 length, lake springtime temperatures...

22  
23           I'll skip down:

24  
25                 Earlier outmigration could lead to a mismatch  
26                 between the arrival of salmon smolts in the  
27                 Fraser estuary and Strait of Georgia, and the  
28                 timing of plankton blooms that are essential  
29                 for growth and survival in Stage 3 (coastal  
30                 migration).

31  
32           Do you agree with this assessment that climate  
33           change can, in fact, affect the timing of salmon  
34           outmigration and availability of plankton blooms?

35       A     Yes, I do, and with the clarification that was  
36           mentioned earlier, that it could be that you  
37           arrive either too early or too late.

38       Q     So one way or the other --

39       A     Mm-hmm.

40       Q     -- the smolts could be entering at a different  
41           time and the, I guess, the environment hasn't  
42           caught up, at that point, with their new timing?

43       A     Or the environment has changed in a different  
44           direction. They both could be changing in  
45           different directions for different reasons.

46       Q     Mr. Lunn, could you please take us to page 63,  
47           paper page 63 of this report, second paragraph

1 down. Dr. Marmorek, would you agree with the  
2 statement that you have here, the second sentence:  
3

4 This suggests that there is strong evidence  
5 for a direct impact of climate change on  
6 sockeye salmon.  
7

8 A So I think earlier I was asked about the overlap  
9 between changes in marine conditions and changes  
10 due to climate, and I think the key, here, is that  
11 climate change can and has increased sea  
12 temperatures and is likely to increase them more  
13 so, and that changes in sea temperatures affect  
14 prey, predators, competitors, in various ways. So  
15 I think for here we're talking, now, about the  
16 coastal migration stage, which is why we concluded  
17 that this was a likely factor, both marine  
18 conditions and climate change.

19 Q Thank you. And on the next page, Mr. Lunn, page  
20 64, under Conditions in Queen Charlotte Sound  
21 versus the Strait of Georgia, I'm just going to  
22 note, briefly, Peterman et al, that's the PSC  
23 report, Exhibit 73:  
24

25 ...concluded that it was "very likely" that  
26 physical and biological ocean conditions  
27 inside [Strait of Georgia] during this life  
28 stage had been a "major factor",  
29

30 And they rated this as "likely" in contributing to  
31 poor ocean returns in 2009. And the Cohen  
32 Commission rated these similar conditions in the  
33 Strait of Georgia as being "likely". Would you  
34 agree that this, in fact, confirms that both of  
35 those workshops concluded that it was either very  
36 likely or likely that the Strait of Georgia played  
37 a role or overall for 2009 returns, that is, in  
38 fact, what this said?

39 A I think that's what the workshop said, and then I  
40 think the work that was done subsequently in the  
41 reports was a lot more thorough, in terms of the  
42 work by Dr. McKinnel, at looking at the  
43 conditions, actually, within both the Strait of  
44 Georgia and Queen Charlotte Sound. And there's  
45 other work that's been already provided by Dr.  
46 Beamish which provides further evidence.

47 So I think we got -- we made a lot of

1 progress, iteratively, amongst the different  
2 workshops, but also in the reports and articles.  
3 Q So those environmental conditions, then, at play  
4 seems to be, from my non scientific background, a  
5 significant role?

6 A Correct.

7 Q And isn't it also true that the top-ranked model  
8 that you discuss at the bottom of page 65 was, in  
9 fact, for the Strait of Georgia? I'm sorry, "The  
10 analysis of this time period showed," -- I'm  
11 reading 65, Mr. Lunn, at the bottom:

12  
13 ...that there is support for both [Queen  
14 Charlotte Sound] and [Strait of Georgia]  
15 models - the top ranked model was for [Strait  
16 of Georgia], the second for [Queen Charlotte  
17 Sound], and the third was the global model,  
18 including both regions.  
19

20 So that is in fact, true, that the Strait of  
21 Georgia was the top-ranked model for this  
22 particular model -- analysis, I'm sorry?

23 A Well, I think you have to put this model work in  
24 context, right? We took the data that was  
25 provided to us, and the main purpose, just as I  
26 said earlier, our main purpose was to see if we  
27 could disprove some of the hypotheses that came  
28 out of the Cohen Commission reports, particularly  
29 on marine conditions. So if it had turned out  
30 that marine conditions, for example, the variables  
31 that were in there had no support, whatsoever, in  
32 the productivity measures for sockeye, that would  
33 make us wonder, "Hmm, I wonder what's going on?"  
34 So the fact that it came out that both Strait of  
35 Georgia, on one case, and Queen Charlotte Sound  
36 were good at, let's say, relatively good at  
37 predicting sockeye salmon productivity and that we  
38 could not reject that hypothesis, it doesn't mean  
39 that these models are right. As I said earlier,  
40 all models are wrong, some are useful. This was  
41 useful in the sense that it allowed us to not  
42 throw away some of the conclusions that we'd  
43 already gleaned from the other Cohen Commission  
44 reports. It didn't contradict the conclusions  
45 we'd already come to by synthesizing the  
46 information in those reports.

47 Q And in my final minute, I would just like to ask



David Marmorek

Cross-exam by Mr. Hopkins-Utter (BCSFA)

Cross-exam by Mr. McDade (AQUA)

- 1 something that you just brought -- well, you just  
2 brought up. Why is it significant to attempt to  
3 disprove hypotheses rather than to prove theories?  
4 A I think the -- it's the basic approach of the  
5 scientific method, which is that as long as events  
6 occur in a way that is consistent with a theory,  
7 you can't reject it. But if an event then came  
8 along that was contradictory to that theory, you  
9 would then be able to reject it. So if you went  
10 along and said, "Well, the last 10 years this  
11 seems to be correct, therefore it must be true,"  
12 what would you do in year 11 when you found out  
13 you were wrong? So that's why it basically comes  
14 to the idea that you can only disprove hypotheses,  
15 and those which have failed to be disproven over a  
16 long period of time gradually become accepted.  
17 MR. HOPKINS-UTTER: Thank you very much, Mr.  
18 Commissioner, those are my questions.  
19 MR. McDADE: My name is Greg McDade, I'm counsel for  
20 the Aquaculture Coalition.  
21  
22 CROSS-EXAMINATION BY MR. McDADE:  
23  
24 Q Doctor (sic), you've probably had the most  
25 challenging job of the various report writers, as  
26 you had to put them all together.  
27 A By the way, I appreciate everyone calling me  
28 "doctor", but it's really just "mister", so I  
29 thought you might want to correct that.  
30 Q I'm sorry.  
31 A My initials are "D.R."; my parents strategically  
32 named me that way, but...  
33 Q Well, D.R., I think it's -- you've noted quite  
34 clearly in your addendum report, and that's where  
35 I'm going to focus, is I think that's Exhibit  
36 1575, that the reports of Dr. Noakes and Dr. Gill  
37 were somewhat of an anomaly in this matter in that  
38 they were fairly significantly different from each  
39 other, they came to opposing conclusions. And I'm  
40 interested in how you attempted to resolve that  
41 matter. As I understand it from your report, you  
42 didn't really attempt to weigh those reports  
43 against each other or to choose who was right.  
44 A Well, maybe we could go to -- Mr. Lunn, if we  
45 could go to page -- the Table 2 in page 18 and 19,  
46 I think that's informing this discussion. So we  
47 went through the decision tree, the retrospective

1 ecological risk assessment tree, and admittedly,  
2 neither Dill nor Noakes nor any of these authors  
3 had used that approach in organizing their  
4 reports. But we basically pulled out -- we mimed  
5 those reports to say, "Well, where do they differ  
6 and where are they similar?"

7 And so if you look down the mechanism column,  
8 you know, across waste, escapees, sea lice,  
9 disease - salmon origin, disease -- those are the  
10 four, really, they basically all agreed that there  
11 was a mechanism. Noakes did not agree that there  
12 was a plausible mechanism by which waste could  
13 affect sockeye salmon.

14 When it came to exposure, they agreed that  
15 there was unlikely to be exposure to a significant  
16 fraction of sockeye salmon for either waste or  
17 escapees. They disagreed on sea lice, and they  
18 disagreed on disease.

19 When it comes to correlation consistency,  
20 they felt there was no correlation or consistency  
21 for waste, escapees and sea lice; they all came  
22 out the same way, Noakes and Dill, but they  
23 disagreed on disease. So essentially, as you  
24 said, it wasn't our job to reconcile them. Our  
25 job was to look at what the implications would be  
26 if you used one report versus the other report for  
27 our overall conclusions.

28 So what it comes down to is they came to  
29 unlikely conclusions by somewhat different  
30 pathways in our decision tree, but nevertheless,  
31 the same conclusion and -- with the three first  
32 rows there, but in the last row, in disease, came  
33 to different conclusions. So we basically just  
34 carried -- said, "Well, if you accept Dill, then  
35 this is what you would conclude, and if you accept  
36 Noakes, this is what you can conclude."

37 Q And I'm going to focus, for the rest of my  
38 examination, on the question of disease.

39 A Okay.

40 Q And disease arising from fish farms. Now, if we  
41 go to page 14, the top -- sorry, one page earlier  
42 that that. Yes. So if we highlight the last half  
43 of the first paragraph there:

44  
45 ...Dill's [2011] examination of further  
46 evidence led him to believe that disease  
47 transfer from salmon farms is the most likely

1 mechanism of concern that could explain the  
2 negative correlation between salmon farm  
3 production and sockeye productivity described  
4 by Connors...  
5

6 So we have Dr. Noakes saying one thing and Dr.  
7 Dill saying another. You don't evaluate who's  
8 more likely to be correct?

9 A That's correct. We do recommend that we actually  
10 get some disease data.

11 Q Yes.

12 A And actually, so did Noakes and Dill.

13 Q Yes. But if Dr. Dill is right, that disease  
14 transfer from salmon farms is a most likely  
15 explanation for the negative correlation between  
16 salmon farms and sockeye productivity, that may be  
17 the explanation for these long -- or at least one  
18 major explanation for the long-term decline in the  
19 productivity?

20 A I don't think Dill said that salmon farm  
21 production was the most likely factor causing the  
22 decline of sockeye productivity - we'd have to go  
23 to his report - but I don't believe he ever said  
24 that it was most likely. I think what he said is  
25 that of the various mechanism by which salmon  
26 farms might affect salmon productivity, disease is  
27 the most likely causal pathway. That's quite a  
28 big difference.

29 Q Yes. And that's part of what the challenge we  
30 have before us, is that in the absence of  
31 empirical evidence, or empirical proof of these  
32 pathways, you're left with plausible hypotheses or  
33 plausible mechanisms, right?

34 A Yes, that's correct.

35 Q And in the difficult task that the Commissioner  
36 faces here, I think it's fair to say that there's  
37 not a lot of empirical evidence about wild salmon  
38 catching disease, whether it's from farms or any  
39 other source, that's something that you've  
40 identified as that lack of empirical evidence?

41 A That's correct. We identified it as a gap and as  
42 a need to be filled.

43 Q Right. And so if one hasn't done any studies on  
44 these questions, one's not going to find any  
45 empirical evidence?

46 A By definition.

47 Q And as you also, I think, it's fair to say, it's

1 very, very difficult to actually prove the cause  
2 of disease in the wild population of fish, because  
3 the dead fish disappear before you could test it?

4 A I haven't actually said that. I think that if you  
5 went, and as we say in the conclusions to this  
6 report, if you went out and measured the incidents  
7 of diseases in areas close to or far away from  
8 fish farms or before and after sockeye pass fish  
9 farms, you would be able to get some useful  
10 information. The greater the level of contrast in  
11 exposure, the better.

12 And just as an addition to that, when the  
13 Okanagan First Nation was considering  
14 reintroducing sockeye into Skaha Lake, they went  
15 through three years of disease studies and had  
16 assistance from DFO and others and measuring  
17 diseases in Columbia River sockeye versus diseases  
18 in fish in Skaha Lake, and they found out there  
19 really wasn't much difference, and so they  
20 proceeded with that experiment.

21 So I think you can gather information on  
22 disease and make sensible decisions, if you get  
23 the data.

24 Q So it's possible to design studies that would show  
25 these links, if they're there?

26 A I think so.

27 Q And that's not really rocket science, is it?

28 That's a pretty obvious way to do it, isn't it?

29 A It is good fishery science. Now, there are some  
30 wrinkles in that if you find a high instance of  
31 disease in a population and then you later find  
32 very low instance of disease in the population, as  
33 Michael Kent said, that could either be because  
34 the disease disappeared or because the fish that  
35 had the disease died. So it's tricky. And I  
36 think it's useful to use some of these acoustic  
37 tagging information, where it's possible to  
38 actually get a much better estimate of exposure.

39 Q But if I accept that evidence, that it's feasible  
40 to design studies that would tell us something  
41 about -- on an empirical level about disease, the  
42 plain and simple fact is, to the best of your  
43 knowledge, nobody's done those studies?

44 A To my knowledge, and also to Dr. Kent's knowledge,  
45 in his report.

46 Q Did you run across any information to suggest why  
47 someone wouldn't have done such an obvious study

- 1 over the 20 years that fish farms have been in  
2 place?
- 3 A Well, I know there have been studies done on pink  
4 salmon, and I also know that it's been a challenge  
5 to get collaboration amongst the various groups to  
6 undertake such studies.
- 7 Q And so let me just wonder aloud about the wisdom,  
8 perhaps, of going and looking for empirical  
9 evidence when no one's done the studies. That  
10 would be a pointless exercise, wouldn't it?
- 11 A I think it's worth looking for whatever evidence  
12 exists and doing -- making the best judgments that  
13 you can, given that evidence, and we were relying  
14 on Dr. Kent's summary of disease information to  
15 conclude that there wasn't much information and,  
16 therefore, that no conclusion was possible about  
17 disease. So we were assuming that he had scoured  
18 what was available.
- 19 Q Yes, and let's accept that as a given fact, that  
20 Dr. Kent is right, that no one has done any  
21 empirical studies and so it's not possible to find  
22 those kinds of empirical proof. That's a  
23 reasonable statement, isn't it?
- 24 A I think we're just repeating the same thing I just  
25 said, so...
- 26 Q Okay. Well, let me say this: In science, when  
27 you haven't done the studies that are necessary to  
28 establish the empirical connection, that doesn't  
29 mean the harm doesn't exist?
- 30 A Oh, that's correct, something could be happening  
31 that is not good for you or for the fish and we  
32 haven't done a study to detect it, yes.
- 33 Q Well, and science -- there's a body of science  
34 that talks about risk or likelihood of something  
35 existing that isn't based on direct empirical  
36 evidence, that's common in science, that you have  
37 evidentiary studies but you also have theoretical  
38 studies?
- 39 A There are theoretical studies, but in the absence  
40 of evidence there are many possible theories as to  
41 what's going on. I've seen many examples over my  
42 career where people argued vociferously over some  
43 particular parameter or mortality rate, and when  
44 they actually got the data there wasn't much to  
45 talk about anymore. So I think the simple answer  
46 is, go out and get the data, because otherwise  
47 there's a very wide range, just as we see here

1 between Dill and Noakes' conclusions, in the  
2 absence of information, and all there really was,  
3 was Connors' estimate of total farm production and  
4 Noakes questions to the degree to which that  
5 represents diseases, it's a very indirect  
6 indicator, it's still the only indicator that he  
7 had that was available to him. So I think the  
8 answer is to get the information.

9 Q So if there's no empirical evidence one way or the  
10 other, it would certainly be wrong to say that  
11 diseases coming from fish farms are not the cause  
12 of the 2009 sockeye decline? You simply have no  
13 proof of that at all, do you?

14 A Okay, so now you've asked a question with respect  
15 to one year's poor returns, namely 2009, and  
16 asking a question, if you don't have any empirical  
17 evidence, are you able to reject salmon farms as a  
18 cause of that decline? So I would argue that  
19 based on the fact that the difference between 2009  
20 returns and 2010 returns was something like a 14  
21 of 15-fold change in recruits per spawner, that  
22 it's pretty unlikely that there was a 14 or 15-  
23 fold change in the amounts of disease occurring  
24 between the 2009 returns and the 2010 returns. In  
25 other words, I would say it's pretty unlikely that  
26 the main cause of the variation between those two  
27 years was due to salmon farms is much more likely,  
28 as we've said in our report, that it was due to  
29 marine conditions, specifically temperatures and  
30 lack of circulation and the like.

31 This is not to say that salmon farms have had  
32 no effect. As we've said several times today,  
33 things which are not the primary factors  
34 responsible could still be contributing factors.

35 Q Well, and when one talks about cumulative impact,  
36 which is the title of your paper, if disease  
37 combined with bad ocean conditions causes  
38 mortality, that would be a direct effect, wouldn't  
39 it; it would be a cumulative effect?

40 A It's possible that disease and marine factors  
41 could combine. As for when we talked about  
42 disease earlier and because we said, "Well,  
43 because we have no data, no conclusion is  
44 possible," I think you still need to come back to  
45 that and say, "In the absence of actually having  
46 data on the exposure of sockeye to that stress,  
47 you're not able to draw a conclusion as to its

- 1 relative likelihood of being a primary factor."  
2 Q So doesn't disease, by its nature, when it becomes  
3 epidemic, isn't it episodic?  
4 A It can be. There are some other diseases which  
5 enter into populations and stay in those  
6 populations for long period of time. They don't  
7 necessarily always go up and down.  
8 Q Yes, but it's not uncommon a disease can have a  
9 very significant effect in a given year and not so  
10 much in the year before and the year after?  
11 A That can happen.  
12 Q Yes.  
13 A I agree.  
14 Q So you can't really draw those conclusions even  
15 from 2009 and 2010, can you?  
16 A So your argument, as I take it, is that in the  
17 absence of any disease information, but based on  
18 the fact that some diseases go up and down, that  
19 diseases could be responsible for the 15-fold  
20 fluctuation in recruits per spawner between 2009  
21 returns and 2010 returns? I guess, in the absence  
22 of any information which would show one way or the  
23 other that there were massive outbreaks of  
24 diseases, you couldn't reject that. It seems  
25 unlikely, though, in that you would think that if  
26 there were massive outbreaks of diseases you would  
27 have heard something about it from the fish  
28 farmers and you would have read -- seen something  
29 about it in the database that has been collected,  
30 admittedly only for a very short period of time.  
31 So I think looking at that data, which showed  
32 basically no trends in diseases, the work that --  
33 the database that Korman -- Josh Korman put  
34 together --  
35 Q Did you read the --  
36 A -- becomes a bit of a stretch to say that the --  
37 how likely it was that there was a sudden big  
38 disease that nobody detected.  
39 Q Did you read the cross-examination of the Project  
40 5 and Project 1 reports?  
41 A Parts of it. It's pretty long. I didn't read all  
42 of it.  
43 Q Were you aware that there were diseases found in  
44 that database that were -- that 60 percent of the  
45 time were identified as unknown or open?  
46 A Yes, I read that portion.  
47 Q That's a pretty significant fact, isn't it?

1 A Again, we're talking -- yeah, I believe that -- I  
2 think it was something like it went from two  
3 percent to five percent in the total number of  
4 fish, or something like that, wasn't it? So that  
5 seems a fairly small --  
6 Q The question is --  
7 A -- it seems a fairly small proportion, to me.  
8 That doesn't mean to say -- I don't think you can  
9 say anything about the amount of disease that  
10 existed prior to them monitoring for disease in  
11 fish farms, you know, so prior to 2002 we don't  
12 have a very good estimate, and I think that  
13 Brendan Connors did the best he could to use the  
14 salmon farm production as a proxy indicator, if  
15 you will, for disease.  
16 Q So let me ask you this. In the debate between Dr.  
17 Noakes and Dr. -- or Dr. Noakes' criticisms of Dr.  
18 Connors --  
19 A Oh yes.  
20 Q -- methodology, you're familiar with that?  
21 A Yes.  
22 Q Where do you stand on that? Was Dr. Connors right  
23 or wrong?  
24 A So the truth is somewhere in between. Some of the  
25 points that Noakes made, this is Exhibit 1538,  
26 which I looked at last week, was farm production  
27 used by Connors is not an adequate proxy variable  
28 for disease, and I agree that it would be much --  
29 I agreed it would be much better if there were  
30 farm-specific levels of production and a much  
31 longer time series of disease, and also that he  
32 didn't have to aggregate the data to avoid -- for  
33 proprietary reasons. So I think it would be much  
34 better if there were more detailed information,  
35 but historical data doesn't exist. I think it was  
36 reasonable to use that as a proxy measure, just  
37 like sea surface temperature is a proxy measure  
38 for a bunch of other things, food production.  
39 Some of the other criticisms, IHN was not  
40 detected prior to 2003. Well, we don't actually  
41 have good disease data prior to 2003. If we did,  
42 we'd use it. BKD was more of a problem for  
43 Pacific than Atlantic salmon. Well, Pacific  
44 salmon were mostly used before in the earlier time  
45 period, so it's not unreasonable to assume a  
46 proportionality between production and disease, if  
47 there were disease. We don't know that there were



1 disease. But it's not an unreasonable proxy  
2 indicator.

3 And then, I think there were some other  
4 criticisms. We said pink salmon may influence  
5 Fraser River sockeye salmon, although there is no  
6 strong evidence to support this assumption.  
7 Actually, there is. In the PSC report, Appendix  
8 C-E16, Greg Ruggerone's analysis is quite strong  
9 correlative evidence of pink salmon effects on  
10 Fraser sockeye. Noakes said that Connors did not  
11 account for density dependence because he didn't  
12 use residuals from the stock recruitment curves,  
13 but he did actually -- he didn't use the  
14 residuals, but he included spawners, so he does --  
15 and all of his models include density dependent  
16 effects.

17 So all in all, I didn't think the criticisms  
18 from Noakes about Connors' work, rather, were  
19 sustainable. I think there are certainly  
20 weaknesses in the historical dataset, and it would  
21 be much better if there had been per farm  
22 production data and actual disease data going all  
23 the way back to the 1980s, but it didn't exist.

24 Q But there's nothing wrong with Dr. Connors'  
25 methodology, given the data he had to work with?

26 A I didn't see anything wrong. I thought he was  
27 quite careful in the way he went through his work.

28 Q So let me ask you about something -- I -- well,  
29 can I put Exhibit 1482 on the screen? Can you  
30 just blow up the abstract part of that?

31 There is a body of literature that's been  
32 introduced, some of it which has been introduced  
33 as exhibits into this Commission, which  
34 established that aquaculture facilities are, in  
35 theory, an ideal place for disease to generate and  
36 emerge. You're familiar with that body of  
37 literature and certain --

38 A I haven't seen this paper before. I have heard  
39 about those ideas. I'm not as familiar with the  
40 literature as either Dr. Noakes or Dr. Dill are.

41 Q Well, as you point out, Dr. Noakes didn't really  
42 look to this body of literature, and Dr. Dill did.

43 A What we pointed out was that there were only 25  
44 references amongst the 250 that they had in  
45 common, and we also recommended that some  
46 independent scientists actually work on reviewing  
47 all this literature.

1 Q In the absence of empirical evidence, because the  
2 studies just haven't been done, if you have  
3 evidence from other places and you have  
4 theoretical evidence and plausible hypothesis upon  
5 a biological level that fish farms are likely to  
6 be ideal breeding grounds for disease, shouldn't  
7 that be relevant in assessing the risk? Isn't Dr.  
8 Dill right to refer to that kind of literature?

9 A I think it's reasonable to look at that other  
10 literature in terms of assessing the risk. In  
11 terms of evaluating how large that risk is, as I  
12 said earlier, until you have data, the range of  
13 tangible hypotheses is really large. So I don't  
14 think it's that difficult to collect that data  
15 and, therefore, rather than making inferences  
16 entirely based on evidence from other places, I  
17 think it would actually make sense to get the  
18 data.

19 Q But in the meantime, until you've done some  
20 empirical studies, if you have scientific evidence  
21 that a particular activity is potentially harmful,  
22 how do you take that into account in terms of  
23 whether, for instance, how to site -- whether to  
24 site fish farms in the middle of wild salmon  
25 migration routes? How does one evaluate risk in  
26 the absence of empirical evidence?

27 A Well, I think that you try to use information on  
28 past locations, in this case fish farms, and  
29 observe what has happened to animals moving past  
30 them. You try to gather all the information that  
31 you can and make your best judgment. And I think  
32 that, you know, some of that's what the Cohen  
33 Commission's doing overall here, is trying to make  
34 their best judgment based on incomplete  
35 information on a number of factors, including fish  
36 farms.

37 Q So, I mean, to be -- to use a metaphor, if you  
38 have an explosives factory that hasn't blown up  
39 for three or four years but creates a risk, does  
40 it make sense to site it in downtown? Or would  
41 you send your children to a school next to an  
42 explosives factory? Isn't risk a factor to be  
43 considered, even though you lack empirical  
44 evidence, and isn't that what Dr. Dill was doing?

45 A Well, I think there's pretty strong empirical  
46 evidence that explosives explode, and I don't  
47 think there's quite as strong empirical evidence

1           that --

2           Q     That fish farms cause disease?

3           A     -- that fish farms have caused disease in sockeye  
4           salmon, and so I think it's reasonable to combine  
5           what evidence you have and make your best  
6           judgments, just as Dr. Dill did, and just as  
7           Dr. Noakes did, as well. They made different  
8           judgments, you know, based on the evidence they  
9           looked at. I think it would be valuable to have  
10          other independent scientists look at it. I still  
11          would argue that, you know, if it took you 10  
12          years to get this information, okay, maybe you can  
13          make a judgment now, but if it takes you one year  
14          to get the information, why not just go out and do  
15          it?

16         MR. McDADE: Mr. Commissioner, I note the time. I have  
17          about four minutes left. We can either take the  
18          break now or --

19         THE COMMISSIONER: Carry on.

20         MR. McDADE: What's that? Continue?

21         THE COMMISSIONER: Carry on.

22         MR. McDADE:

23         Q     Now, let me just change gears for a second,  
24          because I was struck by the logical wisdom by what  
25          you said when you said it makes sense to look for  
26          the bottlenecks, in terms of the life history  
27          stage, and then look for the stressors within that  
28          particular bottleneck.

29          Now, if we were to apply that approach here,  
30          am I correct in hearing you that one bottleneck  
31          you had identified is the early marine stage, or  
32          the coastal migration stage in terms of the life  
33          history stage?

34         A     Yes.

35         Q     And when one looks at that bottleneck and the  
36          stressors that have -- are new in the environment  
37          since this long-term productivity decline in 1992,  
38          I hear your report talking about climate change or  
39          marine conditions as one stressor that may have  
40          changed. Are there any others that shout out at  
41          you on the coastal migration phase?

42         A     Well, clearly, fish farms are one candidate  
43          stressor and they were included in our conceptual  
44          model. I wonder if I could quickly get, Mr. Lunn,  
45          if you could go to page 34 in our report. Just by  
46          way of answering this question, I think it's  
47          really important, as I said at the beginning, to

1 think about the overall pattern that it is we're  
2 trying to explain, and it's not only the pattern  
3 of decline in the Fraser stocks, these are non  
4 Fraser stocks.

5 Now, they've also, if you look at the  
6 Southeast Alaska stocks and you look at the  
7 Yakutat stocks and you look at the Central Coast  
8 stocks, which have very minimal exposure to fish  
9 farms, they've also shown declines. So this isn't  
10 to say that fish farms could not have effected  
11 Fraser River stocks, but I don't think there is  
12 sufficient -- I don't think fish farms are a  
13 sufficient explanation for the pattern of decline  
14 in sockeye, generally, between Washington and  
15 Southeast Alaska.

16 Q So the fact that the Okanagan and Columbia stocks  
17 did well in 2009, when the stocks that migrated up  
18 the inside passage, that would be a relevant fact  
19 to you, too, wouldn't it?

20 A Yes. And the work that Kim Hyatt's done shows  
21 that there were very different temperature  
22 conditions on the outer side of the west coast of  
23 Vancouver Island where those stocks were going  
24 than occurred in the Strait of Georgia, in 2007,  
25 which was the migration year for those smolts.

26 So what I'm pointing to is it's not just fish  
27 farms that differ between the inside and outside,  
28 there's also many other oceanographic variables  
29 that can differ.

30 Q Can we go to - I'll just finish off in a minute or  
31 so here - can we go to page 23 of the addendum  
32 report, 1575. I just want to identify -- sorry,  
33 numbered page 23. Yes thank you.

34 You've made two pretty strong  
35 recommendations, as I see it here. In the third  
36 line below the bold headings, you say that the --  
37 there are three categories of high priority data  
38 which need to be incorporated into the database.  
39 One, is fish health in farm salmon; two, is water  
40 quality in the vicinity of salmon; and three, is  
41 wild sockeye post-smolt survival estimates before  
42 and after passing salmon farms. Now, I think  
43 we've discussed that already.

44 A Yes, I think so, yeah.

45 Q And these you describe as high priority, because  
46 they're potentially different if the answers are  
47 positive?

- 1 A I think it's necessary to get data to test  
2 alternative hypotheses.
- 3 Q And further down the page you acknowledge the  
4 recommendation of Drs. McAllister and Carruthers,  
5 that one idea would be to experimentally  
6 manipulate the intensity of salmon farming by  
7 having fallow years and seeing what the outcome  
8 would be. Now, that seems to make sense. Do you  
9 think that's appropriate to the risk?
- 10 A I think that creating as strong contrasts as  
11 possible in both space and time has been shown in  
12 many other environmental stressors to be the best  
13 way to try to find a signal. Now, that having  
14 been said, I'd just add one additional thing, is  
15 you should do it in a way that doesn't get  
16 confounded with pink salmon. So if you did it  
17 every odd year, fallowed every odd year, that  
18 would really screw up your experimental designs.  
19 You might want to do it one out of every three  
20 years, get it out of sync. So you basically want  
21 to separate the signal from the noise.
- 22 Q Can we have Exhibit 1573. Now, there's one place  
23 -- 1563, I'm sorry. That didn't look at all --  
24 there's one place on the coast where the salmon  
25 migration migrates to a very narrow place and  
26 where there's a great number of fish farms. Would  
27 that be the most sensible place to do that  
28 experiment?
- 29 A I haven't really thought about it before. I think  
30 if you could create contrasts between the highest  
31 level of exposure and the least, that would be the  
32 most informative. So I'm not sure, in this  
33 diagram, whether the salmon going along Johnstone  
34 Strait would be less exposed than the salmon which  
35 are going inland through some of those areas where  
36 we've got lots of pink dots, but I think you'd  
37 have to think about that and try to get as much  
38 contrast in exposure as possible so you could test  
39 the hypothesis.
- 40 Q Well, in 2007, the Chinooks, those farms that were  
41 growing Chinooks in that area where removed and  
42 weren't present in 2008. Don't we, in fact, have  
43 the following -- if that's true, that's the nature  
44 of the following experiment you might do, and we  
45 might see what the difference is in returns in  
46 2009 and 2010?
- 47 A Oh, I don't think you'd want to look at returns,

1           because then you're integrating all sorts of other  
2           information. What I would suggest is that you'd  
3           want to look at acoustically tagged fish so you  
4           could tell exactly where they went and what  
5           exposure they had, and then look at diseases in  
6           co-migrating fish. Maybe you can't look at the  
7           disease without sacrificing the fish beforehand,  
8           but I think you want to look at disease and health  
9           of those fish. Returns have every other factor  
10          influencing them as well, so I don't think it  
11          would be a very good test to just look at returns.

12       MR. McDADE: Thank you. That's my time, Mr. Marmorek.

13       A     Thank you.

14       THE COMMISSIONER: Thank you, Mr. McDade.

15       THE REGISTRAR: The hearing will now recess for 10  
16          minutes.

17  
18                   (PROCEEDINGS ADJOURNED FOR AFTERNOON RECESS)  
19                   (PROCEEDINGS RECONVENED)

20  
21       THE REGISTRAR: The hearing is now resumed.

22       THE COMMISSIONER: Mr. Leadem.

23       Mr. LEADEM: Good afternoon, Mr. Commissioner, good  
24          afternoon, Mr. Marmorek. My name is Tim Leadem.  
25          I represent the Conservation Coalition, groups  
26          such as the David Suzuki Foundation and other  
27          environmental groups in these proceedings.

28  
29       CROSS-EXAMINATION BY MR. LEADEM:

30  
31       Q     I want to commend you firstly for a very readable  
32          report.

33       A     Thank you.

34       Q     I come down on the side of Dr. Peterman and like  
35          the analogies, because sometimes if we can  
36          analogize correctly, we can usually understand  
37          concepts which are often difficult, and so I find  
38          that it's very useful to try to do that. So if at  
39          any time during your answers you want to use  
40          metaphors and analogize, please do so. And I also  
41          happen to like colourful language, so you can  
42          insert that, as well.

43          I want to begin by drawing your attention to  
44          the workshop that you facilitated back in November  
45          30th of last year. I think it was a two-day  
46          workshop. And my understanding is, is that you  
47          facilitated a workshop at which all of the

1 scientists who were preparing reports for the  
2 Commission, the expert reports or technical  
3 reports, as we've come to call them, assembled and  
4 over a two-day period addressed a number of  
5 concepts, discussed the reports amongst themselves  
6 and was a fair exchange in information, as  
7 scientists are very often capable of doing. Is  
8 that correct, do I have that right?

9 A Yes, that's correct. Now, this was November 30th,  
10 and December 1st, and so the draft reports for  
11 each of those studies were in varying states of  
12 completion. So Dr. McKinnell's report was already  
13 done, but others were still in process, so there  
14 were varying stages.

15 Q One of the tasks that you did during that workshop  
16 was to focus upon the 2010 PSC symposium that was  
17 the year before in June of 2010, and then you  
18 asked some of the participants at the workshop in  
19 November of 2010 to comment on the PSC workshop.  
20 And I want to just go with you to those results.  
21 I think they're at the tail end of your report.

22 A Yeah, that's right, the last two pages.

23 Q Actually, 1896, Mr. Lunn, and if we could go to  
24 PDF 362. You state there in Appendix D that:

25  
26 Workshop participants were asked to examine  
27 the PSC Report...

28  
29 This is the one that Dr. Peterman and yourself I  
30 think were the facilitators of at SFU in June of  
31 2010; is that right?

32 A Well, Dr. Peterman was the head of the Science  
33 panel and the lead author on the report, and we  
34 worked as facilitators and assisted.

35 Q So if I look at this table, I think it's in two  
36 sections, there are a number of alternative  
37 hypotheses to explain the 2009 decline. And what  
38 I think, if I'm reading this report correctly, the  
39 top bar, the one in grey is the PSC and then the  
40 workshop that you facilitated in June -- or sorry,  
41 in November would be in yellow; is that right?

42 A Yes, that's correct. If I could just make a  
43 couple of clarifications. First of all, for each  
44 of these hypothesized factors in the leftmost  
45 column in this Appendix D, we're looking at both  
46 the overall trend over the last 20 years, as well  
47 as the 2009 low returns.

1           The other thing to mention is that the PSC  
2           report, we had the workshop and then the panel met  
3           and considered their recommendations over a series  
4           of conference calls and exchanges of emails.  
5           Whereas the workshop that we did for the Cohen  
6           Commission on November 30th, December 1st, we had  
7           maybe a couple of hours at which we had subgroups  
8           meeting to explore these ratings. So there really  
9           wasn't as much time --

10          Q       Yes.

11          A       -- or thought given to it.

12          Q       Right. I understand that. We heard evidence also  
13                 from I think it was Dr. Rensel from -- who had  
14                 testified to this Commission with respect to  
15                 harmful algal blooms that he was part of the PSC  
16                 workshop, but I think there was a contingent from  
17                 the United States that left, so they didn't get a  
18                 chance to vote. Do you recall that?

19          A       That actually isn't the way it happened at the PSC  
20                 workshop. What happened was that the -- we met in  
21                 subgroups and got input from those subgroups on  
22                 particular hypotheses, and I was actually in the  
23                 group that Dr. Rensel was in that dealt with  
24                 harmful algal blooms and contaminants. That  
25                 information was brought back to the Science panel  
26                 and it was actually Brian Riddell who wrote the  
27                 chapter dealing with contaminants and harmful  
28                 algal blooms. So there's a lot of consideration  
29                 that went into that, actually, by the PSC Panel.  
30                 Not so in the Cohen Commission, but it was  
31                 considered in the PSC group.

32          Q       All right. What I want to focus on is "Marine  
33                 ecology", the fourth hypothesis down on the left-  
34                 hand column. And it was broken down into two  
35                 discrete areas, the Strait of Georgia and then  
36                 outside the Strait of Georgia. And so if I  
37                 compare those for the overall, I take it that the  
38                 dark shading meant that there was emphasis to be  
39                 placed on that topic by the PSC workshop; is that  
40                 correct, do I have that right?

41          A       Right. So a major difference between the PSC  
42                 workshop is at the PSC workshop we heard a lot  
43                 about conditions in the Strait of Georgia, and the  
44                 panel was convinced by those presentations that  
45                 the Strait of Georgia were more important than the  
46                 conditions outside of Georgia Strait, both for the  
47                 overall changes, as well as the 2009 poor returns.



1           Now, the Cohen Commission, particularly Dr.  
2 McKinnell, presented other quite convincing  
3 evidence that there were weird things going on in  
4 2007 in Queen Charlotte Sound, as well, and that  
5 the Strait of Georgia wasn't quite so bad. And so  
6 those scientists at the workshop came up with  
7 stronger weighting on conditions outside of  
8 Georgia Strait.

9           Now, there's been further work done since  
10 then, which seems to indicate that both are  
11 important, so, you know, the truth may be simply  
12 that.

13 Q       Somewhere in the middle.

14 A       Yeah.

15 Q       So if you were looking at marine -- the marine  
16 ecology to substantiate a hypothesis for the long-  
17 term decline, as well as the 2009 decline, you  
18 really wouldn't want to dissect out the Strait of  
19 Georgia and simply focus upon that singularly.  
20 You would really want to look upon the total  
21 marine environment and include Queen Charlotte  
22 Sound as well.

23 A       Yes, I would.

24 Q       if I could now ask you to turn to PDF 304, these  
25 pages are unnumbered. I think what I'm going to  
26 do is go back into the workshop and some of the  
27 reporting out that I think that you did of that  
28 workshop. I gather this is your work, Mr.  
29 Marmorek?

30 A       Sorry, we're talking about the workshop that was  
31 done for the Cohen Commission? Yes.

32 Q       Yes.

33 A       We wrote the report from that workshop.

34 Q       Okay.

35 A       Yes.

36 Q       So under the heading "Research and Monitoring  
37 Recommendations", and if I could just flip the  
38 page to PDF 305, and the second full paragraph on  
39 that page, I just want to take you there because  
40 this is one of the themes I've been pursuing  
41 throughout the body of work that I've been doing  
42 through this Commission. You say there:

43  
44           One of the resounding issues throughout the  
45 workshop was researchers' difficulty in  
46 obtaining and understanding data from the  
47 existing databases. Considerable effort

1                   should be spent building and maintaining an  
2                   integrated database, with focused research  
3                   and monitoring goals in mind.

4  
5                   And then you go on to say:

6  
7                   The database should include the historical  
8                   sockeye data with clear metadata as well as  
9                   data from current and future monitoring.

10  
11                   And:

12  
13                   In order for this to be useful to scientists,  
14                   it would need to be regularly updated and  
15                   maintained.

16  
17                   So I'm just going to stop there and see if I can  
18                   expand a little bit on that, because all the  
19                   scientists who participated were complaining to  
20                   you, I gather, about the lack of consistency in  
21                   the data and the ability to use data sources from  
22                   different areas and be able to make them  
23                   compatible. I'm not a mathematician, so I'm  
24                   paraphrasing very roughly. So is that basically  
25                   what the problem was, or is it a little bit more  
26                   complex than that?

27                   A       Well, I wouldn't say that all the scientists were  
28                   complaining about this. I think one of the  
29                   difficulties which existed was assembling all the  
30                   productivity information on sockeye and getting  
31                   that into a consistent format. The different  
32                   stocks -- within a given stock there are different  
33                   life history patterns. Some fish spend one year  
34                   in fresh water, some spend two, they spend varying  
35                   amounts of time in the ocean, and you have to line  
36                   all of that information up if you're going to do  
37                   these correlative analyses. And then the stressor  
38                   information also comes from a whole bunch of  
39                   different databases.

40                   So, you know, I think the Cohen Commission  
41                   has really catalyzed quite a bit of good effort  
42                   that way. And the database that we assembled for  
43                   this study, although it just was an internal  
44                   database, it's structured in a way that could be  
45                   built upon. So I think we're making progress on  
46                   both getting the metadata together, as well as the  
47                   stressor information and the sockeye information.

1 Obviously that would need to be updated every  
2 year, and you're not going to have a budget like  
3 the Cohen Commission does every year, so this has  
4 got to be made part of common practice.

5 Q So in terms of any recommendations with respect to  
6 the data, can you help us at all in terms of how  
7 accessible this database should be, whether  
8 scientists who study in this realm should have  
9 access to it, whether there should be some limits  
10 on it, who gets to control it, who gets to put  
11 data into it. Do you have any recommendations  
12 with respect to those kinds of topics?

13 A I think that past experience elsewhere has  
14 indicated that the people who are closest to  
15 collecting a particular kind of data. So let's  
16 say for example, the Okanagan First Nation and DFO  
17 collect Okanagan sockeye data, are the best ones  
18 to organize that information and then say we're  
19 happy with our analyses for this year and put that  
20 out, and then get that in a common framework. And  
21 then if there is some update to that, they  
22 discovered that there was an error, then they can  
23 update that information. I think then you can  
24 feel fairly assured that that information has been  
25 carefully checked, and then put into a centralized  
26 or integrated database, which I think should be  
27 publicly accessible.

28 There are examples like that in the Columbia  
29 Basin, there's something called StreamNet where  
30 there's public access. There's also the Columbia  
31 Basin Fish and Wildlife Authority has a publicly  
32 accessible web accessible set of information. The  
33 key thing is it has to be carefully checked before  
34 it goes in there.

35 And as far as being able to do analyses on  
36 the data, provided that it's -- that data has been  
37 quality checked, I don't see any reason why  
38 anybody shouldn't have access to the full suite of  
39 data, and that will stimulate different kinds of  
40 analyses, which I think is healthy. The key thing  
41 is that what goes into it has to be carefully  
42 checked and so there has to be one group that's  
43 responsible for assuring that it is good quality.

44 Q Mm-hmm.

45 A That's very important.

46 Q Yeah, I remember that acronym, garbage in, garbage  
47 out, so that if you're not putting in very

- 1 reliable data, then you're obviously not going to  
2 be able to get the results that you want at the  
3 end of the day from being able to analyze that  
4 data and to synthesize it and have it form the  
5 basis of reports.
- 6 A Yes, and the other thing is the metadata, which is  
7 the data about that data, that says this is how it  
8 was acquired. These are the sampling methods.  
9 These are where the data came from, all those  
10 other details, extremely important.
- 11 Q Now, in addition to some of the workshop that  
12 focused on PSC, there was a full range of  
13 discussion about some of the projects that were  
14 ongoing, and I want to take you to some of the  
15 minutes --
- 16 A Sure.
- 17 Q -- of that meeting that occurred, as well. If we  
18 can go to PDF I believe it's 327. Now, at that  
19 time my understanding as the group Counterpoint  
20 was actually going to file a report on "Status of  
21 DFO Management and Science" and as it turned out  
22 that report never did get filed; is that right?
- 23 A That's what I've heard, but I haven't been  
24 tracking the thousands of documents that have been  
25 filed.
- 26 Q It certainly wasn't one that you analyzed when you  
27 came upon your cumulative effects analysis at the  
28 end of the day?
- 29 A No, it wasn't, because it didn't pertain to  
30 describing the different stressors that we were  
31 analyzing.
- 32 Q And I'm just going to take you to some of the  
33 discussion that ensued when Edwin Blewett was  
34 presenting on behalf of this topic. If we can  
35 just go to the next page, PDF 328, please, Mr.  
36 Lunn. And at the bottom you'll see that there's  
37 some discussion. There's a discussion, that's Dr.  
38 Skip McKinnell from PICES, is that right, who  
39 is --
- 40 A Yes.
- 41 Q -- saying:
- 42
- 43 Did you consider looking at the number of  
44 primary publications by DFO authors? You  
45 will likely find that the amount of science  
46 done as a proportion of the actual work they  
47 do has been shrinking over time. It would be

1                   useful to see a graph on the number of  
2                   published articles on Fraser sockeye where  
3                   DFO scientists were the senior authors.  
4

5                   And then that discussion is then followed up by  
6                   Dr. Peterman, and that continues on to the next  
7                   page. Do you recall that discussion?

8           A        Yes, I do.

9           Q        And that's a fair or accurate representation of  
10           the discussion that ensued about that topic, is it  
11           not?

12          A        Yes. My recollection is that Edwin Blewett did  
13           include some information at least on scientific  
14           publications in the executive summary of his  
15           report, but I don't know if it was exactly what  
16           Skip McKinnell was asking for.

17          Q        And similarly the next topic at PDF 330 was  
18           "Diseases and parasites" and this was a  
19           presentation by Dr. Kent, was it?

20          A        Yes.

21          Q        The lead author for that. And then if you follow  
22           through to PDF 331, there is then a discussion  
23           that ensues. I imagine that what happens, Dr.  
24           Kent - I wasn't there, and would have loved to  
25           have been there, but I'm glad you did not have  
26           lawyers there, quite frankly - but essentially, as  
27           I understand it, someone presented the topic for  
28           about 15, 20 minutes and then there was an  
29           opportunity for discussion from the attending  
30           scientists of that person, is that --

31          A        That's correct.

32          Q        -- basically the framework. So the discussion  
33           that ensued after Dr. Kent presented his paper was  
34           mostly between Dr. Reynolds and Dr. Kent, that  
35           that would be Dr. John Reynolds, who was one of  
36           the outside reviewers and a professor at Simon  
37           Fraser University; is that right?

38          A        Yes, that's correct.

39          Q        And so he says at the conclusion of the  
40           presentation, he says "How specific" -- or he asks  
41           a question:

42  
43                   How specific are these pathogens to specific  
44                   species of salmon? And is it a good idea to  
45                   restrict the scope to known cases involving  
46                   sockeye?  
47

1           And Kent says:

2  
3           I don't exclude any from the list. Where  
4           sockeye are less susceptible to disease, I  
5           would put it as a moderate risk assessment.  
6

7           And then Dr. Reynolds says:

8  
9           Is that a good criterion to use? If studies  
10          show sea lice can infect other species of  
11          salmon, it might be useful to tackle it head-  
12          on, to take sea lice out of the picture.  
13

14          So once again the discussion carries on for  
15          several pages after that, but essentially that  
16          would be an accurate representation of the  
17          discussion that ensued following Dr. Kent's  
18          presentation, would it not?

19        A    Yes. We had a very good recorder who taped the  
20            proceedings and then transcribed them, so I think  
21            this is an accurate description of the free-  
22            ranging discussion. I guess what I would say is  
23            that it's a free-ranging discussion at a workshop,  
24            and I think in general you need to look at all the  
25            information in detail, you know, to make  
26            decisions, rather than a five-minute discussion.

27        Q    Yes, I appreciate that. On page PDF 332, I just  
28            want to focus on a comment that Dr. Kent made in  
29            response to Dr. Rick Routledge, who was one of the  
30            outside reviewers. He's also a professor at SFU,  
31            is he not?

32        A    Yes, he is.

33        Q    And about one-third of the way down Dr. Routledge  
34            asked:

35  
36            Is there any evidence of vectors for disease  
37            to consider?  
38

39          And then Dr. Kent says:

40  
41            You can show in lab studies that *Lep*...

42  
43            And that would be the louse, the salmon louse,  
44            *Lep*.

45        A    Mm-hmm.

46        Q  
47            ...can jump from adult fish. Some pathogens

1 for example are transmitted via leeches but  
2 can also transfer through the water.

3  
4 And he goes on to say:

5  
6 Could sea lice be transmitting disease?

7  
8 He asks himself that question.

9  
10 In freshwater, there have been increases in  
11 snail-borne disease due to increasing numbers  
12 of snails.

13  
14 And then he goes on to discuss a whirling disease.  
15 And then Dr. Reynolds chimes in and says:

16  
17 A recent paper showed sea lice do jump from  
18 host to host in the wild. Male *Lep* jumped  
19 from pink to coho smolts.

20  
21 So that once again was a flavour of the discussion  
22 that occurred with Dr. Kent and Dr. Reynolds and  
23 Dr. Routledge concerning the vectors, the  
24 possibility that disease could be vectored, as you  
25 will, by something such as *Lep*; is that fair to  
26 say?

27 A Yes, that's correct, and in the conceptual  
28 diagrams that we were looking at earlier from our  
29 addendum, that causal pathway is represented.

30 Q And one final topic that I want to focus on, if we  
31 can go to, I think the next page, PDF 333, Don  
32 MacDonald, who was the author of, I think, the  
33 technical report on contaminants, then presented,  
34 and he presented his findings and then there was a  
35 brief discussion that ensued following his report,  
36 mostly with Dr. Peterman, Dr. Routledge, who once  
37 again that followed the presentation of Mr.  
38 MacDonald's report, was it not?

39 A Yes, that's correct.

40 Q I just find this whole process to be rather  
41 invigorating and enlightening, unlike this kind of  
42 a situation where it's very controlled, where I  
43 get to ask the questions and hopefully you get to  
44 respond. When scientists meet, it seems to be a  
45 free-ranging debate. And so I think at the end of  
46 the day, one of the things that I've been  
47 proposing is that there be some way to move

1 forward on the science that needs to be done.  
2 You've identified, for example, some specific  
3 scientific research areas that you would like to  
4 see followed. And you've identified those in  
5 bold, and you've identified them with respect to  
6 lifecycles and life stages of the salmon. And  
7 others have preceded you to the podium and  
8 obviously they also have specific research topics  
9 that they would like to see done; more often than  
10 not it happens to coincide with the area of  
11 expertise that they happen to be involved with.

12 But I guess I want to come back to this. If  
13 we're going to move forward in terms of the  
14 science, and the ability of science to really  
15 grapple with this issue of what's behind the  
16 decline of the sockeye, or how can we ameliorate  
17 the condition of the sockeye, what kind of  
18 apparatus can you envisage being brought forward  
19 to see that that work is conducted and carried  
20 out?

21 A So first of all, I think it's important to point  
22 out that our recommendations in section 5.2 were  
23 not just our suggestions --

24 Q Yes.

25 A -- or my ideas. These were built, as we said  
26 earlier, on the work that came out the Pacific  
27 Salmon Commission workshop, as well as the  
28 recommendations of all the Cohen Commission  
29 researchers. So and as I was saying earlier to  
30 the Cohen Commission lawyer, I think the first  
31 step is to decide what are the key management  
32 decisions that need to be made, and what are the  
33 scientific uncertainties that affect those  
34 management decisions, and then to have a dialogue  
35 between managers and a subset of scientists from  
36 DFO, NOAA Fisheries, Pacific Salmon Commission,  
37 plus others, you know, academia, but a smallish  
38 group, a manageable group, to winnow down that  
39 list to set forth a sequence of studies that are  
40 cost-effective for answering specific questions  
41 and to put in place the infrastructure that will  
42 maintain those studies for a sufficient length of  
43 time so, as was mentioned earlier, that we have a  
44 continuing time, which I think was with the lawyer  
45 from the Province.

46 So, you know, as I was asked earlier by the  
47 Commission lawyer, that's my opinion how to set



1           that up. There may be a better way, there may be  
2           other people who have better ideas about that, but  
3           that wasn't within our terms of reference to  
4           decide, you know, or recommend that kind of  
5           structure. It just seems logical, given who has  
6           the mandate. In the United States NOAA Fisheries  
7           does, in Canada DFO does, and both on the PSC, so  
8           those seem like logical leaders to tackle it.

9           Mr. LEADEM: All right. We'll come back to that  
10           concept tomorrow. I think we're at the end for  
11           today, Mr. Commissioner.

12          MS. BAKER: Thank you, Mr. Commissioner. I wonder if  
13           we can organize our timing for tomorrow. We'll be  
14           starting at 9:00 and ending at 3:00, and I was  
15           going to propose that we could maybe go from 9:00  
16           to 10:30 and take a break at 10:30, and then go  
17           from whenever we come back from that break to  
18           12:30, just the one break in the morning. Would  
19           that be acceptable?

20          THE COMMISSIONER: I guess my answer is we'll see, but  
21           that sounds like not an unreasonable proposal, Ms.  
22           Baker. But just before we break I just wanted to  
23           ask a question to clarify something that Mr.  
24           Leadem asked the witness. And I must apologize.  
25           I'm not sure that I -- it's possibly Exhibit 1896.  
26           It was the paragraph dealing with database, Mr.  
27           Leadem, that you were asking the witness about.  
28           And I just -- is that Exhibit 1896?

29          Mr. LEADEM: That was 1896.

30          THE COMMISSIONER: And it might have been -- was it  
31           page 305, possibly?

32          Mr. LEADEM: It was PDF 305, I believe.

33  
34          QUESTIONS BY THE COMMISSIONER:

35  
36          Q        I'm sorry, PDF 305 -- I apologize, that's probably  
37           it. Yes.

38          A        Sorry about the pagination, that's our fault.

39          Q        No, that's fine. I'll just take a moment just to  
40           ask you this, and I'm not being facetious, but  
41           what do you mean by "database" in the context of  
42           this paragraph?

43          A        So an organized form of data includes for this  
44           problem all the information on the numbers of  
45           spawners from each stock, the age structure of  
46           each of those stocks, so how many return as three-  
47           year-olds, four-year-olds, five-year-olds, how

1 many years they spend in freshwater, the  
2 proportions and so on, which can vary by year. So  
3 and then that's for both -- that would be for both  
4 Fraser stocks, as well as for non-Fraser stocks.

5 And then the information on various  
6 stressors, which we were discussing earlier with  
7 respect to the analyses that were included in  
8 section 4.7 of our report. So for example, I'll  
9 just find the section here, page 93, not PDF page  
10 but the actual page, yes, this table. That's an  
11 example of the kind of stressor variables which  
12 would be helpful to include in such a database.

13 And a database, a relationship database is an  
14 organized framework which links information by  
15 stock, by year, by location, by type of  
16 information, by variable name. There's a nice  
17 description of it in Appendix 3 of our report.  
18 It's a very structured way of organizing  
19 information as opposed to what generally exists,  
20 which are a whole bunch of different spreadsheets  
21 that are different for different stocks and in  
22 different locations and for different stressors.  
23 And what we had to do was basically grab all that  
24 information and organize it into this structured  
25 framework and relate them all. So that's what we  
26 call an organized database.

27 Q And that's what you're speaking of.

28 A Yes.

29 THE COMMISSIONER: You can follow up tomorrow with  
30 that, Mr. Leadem.

31 Mr. LEADEM: Thank you, Mr. Commissioner.

32 THE COMMISSIONER: But I appreciate the answer. Thank  
33 you very much.

34 A Thank you.

35 THE REGISTRAR: The hearing is now adjourned till 9:00  
36 a.m. tomorrow morning.

37  
38 (PROCEEDINGS ADJOURNED TO SEPTEMBER 20, 2011  
39 AT 9:00 A.M.)  
40  
41  
42  
43  
44  
45  
46  
47

1 I HEREBY CERTIFY the foregoing to be a  
2 true and accurate transcript of the  
3 evidence recorded on a sound recording  
4 apparatus, transcribed to the best of my  
5 skill and ability, and in accordance  
6 with applicable standards.  
7  
8  
9

10 \_\_\_\_\_  
11 Diane Rochfort  
12  
13

14 I HEREBY CERTIFY the foregoing to be a  
15 true and accurate transcript of the  
16 evidence recorded on a sound recording  
17 apparatus, transcribed to the best of my  
18 skill and ability, and in accordance  
19 with applicable standards.  
20  
21  
22

23 \_\_\_\_\_  
24 Karen Hefferland  
25

26 I HEREBY CERTIFY the foregoing to be a  
27 true and accurate transcript of the  
28 evidence recorded on a sound recording  
29 apparatus, transcribed to the best of my  
30 skill and ability, and in accordance  
31 with applicable standards.  
32  
33  
34

35 \_\_\_\_\_  
36 Pat Neumann  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47